

DARLINGTON NEW NUCLEAR POWER PLANT PROJECT

**JOINT REVIEW PANEL**

PROJET DE NOUVELLE CENTRALE NUCLÉAIRE DE DARLINGTON

**LA COMMISSION D'EXAMEN CONJOINT**

**HEARING HELD AT**

Hope Fellowship Church  
Assembly Hall  
1685 Bloor Street  
Courtice, ON, L1E 2N1

**Thursday, March 31, 2011**

**Volume 10  
REVISED**

**JOINT REVIEW PANEL**

Mr. Alan Graham  
Ms. Jocelyne Beaudet  
Mr. Ken Pereira

**Panel Co-Managers**

Ms. Debra Myles  
Ms. Kelly McGee

**Transcription Services By:**

International Reporting Inc.  
41-5450 Canotek Road  
Ottawa, Ontario  
K1J 9G2  
www.irri.net  
1-800-899-0006

(ii)

**ERRATA**

**Transcript :**

Throughout the transcript the spelling Mr. Kavlevar was used when it should have read Mr. Kalevar.

---

Throughout the transcript the spelling "ACL" was used when it should have read "AECL".

---

**Page 212**

1 analysis information, the core damage frequencies.  
2 large release frequencies.

3 Results from probalistic risk  
4 assessments that were conducted for licencing  
5 submissions in regulatory regimes, which are very  
6 mature and basically we were able to infer based  
7 on those independent studies that they would meet  
8 the RD337 safety goals.

9 MEMBER PEREIRA: When you refer to  
10 accident analysis that were done for other  
11 regulatory regimes, what particular regulatory  
12 regimes were you referring to?

13 DR. VECCHIARELLI: Jack  
14 Vecchiarelli for the record. For example, in the  
15 case of the AP1000 and in the E -- indicates the  
16 EPR, submissions to the U.S. NRC for design  
17 certification applications, as well as for the U.K.

18 MEMBER PEREIRA: Thank you very much.  
19 I'll go on to get some clarification on  
20 some -- a comment you made about, "No safe level of  
21 exposure -- there is no safe level of exposure of  
22 ionizing radiation." Does this apply to background  
23 radiation as well?

24 MS. TILMAN: There is two aspects to  
25 background radiation as you may be aware. The

**Should have read:**

1 analysis information, the core damage frequencies,  
2 large release frequencies, results from  
3 probalistic risk assessments that were conducted  
4 for licencing submissions in regulatory regimes,  
5 which are very mature. And basically we were able  
6 to infer based on those independent studies that  
7 they would meet the RD337 safety goals.

8 MEMBER PEREIRA: When you refer to  
9 accident analysis that were done for other  
10 regulatory regimes, what particular regulatory  
11 regimes were you referring to?

12 DR. VECCHIARELLI: Jack  
13 Vecchiarelli for the record. For example, in the  
14 case of the AP1000 and in the **EPR**, submissions to  
15 the U.S. NRC for design certification  
16 applications, as well as for the U.K.

17 MEMBER PEREIRA: Thank you very much.  
18 I'll go on to get some clarification on  
19 some -- a comment you made about, "No safe level of  
20 exposure -- there is no safe level of exposure of  
21 ionizing radiation." Does this apply to background  
22 radiation as well?

23 MS. TILMAN: There is two aspects to  
24 background radiation as you may be aware. The

---

**Page 250, line 18**

18 that's evolving in Japan to determine whether

**Should have read:**

18 that's evolving in Japan to determine **what the**

(iii)

TABLE OF CONTENTS / TABLE DES MATIÈRES

	<b>PAGE</b>
Opening remarks	1
Undertaking status	3
Presentation by Mr. Erlichman	16
Questions by the panel	22
Questions by the intervenors	30
Presentation by Mr. Biro	32
Questions by the panel	39
Questions by the intervenors	43
Presentation by Ms. Goldin-Rosenberg	46
Questions by the panel	74
Questions by the intervenors	96
Presentation by Mr. Troy	103
Questions by the panel	116
Questions by the intervenors	123
Presentation by Ms. Rao	125
Questions by the panel	141
Presentation by Dr. Christie	152
Questions by the panel	162
Written submissions and questions by the panel	166
Presentation by Ms. Tilman and Dr. Albright	182
Questions by the panel	205
Questions by the intervenors	225
Presentation by Ms. Bischoff	231
Questions by the panel	240

(iii)

TABLE OF CONTENTS / TABLE DES MATIÈRES

	<b>PAGE</b>
Questions by the intervenors	249
Presentation by Ms. Lester	251
Presentation by Ms. McNeill	262
Questions by the panel	278

1 Courtice, Ontario

2

3 --- Upon commencing at 1:30 p.m./

4 L'audience débute à 13h30

5 --- OPENING REMARKS:

6 MS. MCGEE: Good afternoon. Mon  
7 nom est Kelly McGee. Welcome to the public hearing  
8 of the Joint Review Panel for the Darlington New  
9 Nuclear Power Plant project.

10 Je suis la co-gestionnaire de la  
11 Commission d'examen conjoint du projet de nouvelle  
12 centrale nucléaire de Darlington.

13 Secretariat staff are available at  
14 the back of the room. Please speak with Julie  
15 Bouchard if you are scheduled to make a  
16 presentation at this session, if you are a  
17 registered intervenor and want the permission of  
18 the Chair to ask a question or if you are not  
19 registered to participate, but now wish to make a  
20 statement. Any request to address the panel must  
21 be discussed with Panel Secretariat staff first.  
22 Opportunities for either questions to a presenter  
23 or a brief statement at the end of a session will  
24 be provided time permitting.

25 We have simultaneous translation.

1 Headsets are available at the back of the room.  
2 English is on channel one. La version française  
3 est au poste deux.

4                           A written transcript of these  
5 proceedings will reflect the language of the  
6 speaker. Please identify yourself each time you  
7 speak to make the transcripts as accurate as  
8 possible. The written transcripts are stored on  
9 the Canadian Environmental Assessment Agency  
10 website for the project. The live webcast can be  
11 accessed through a link on the Canadian Nuclear  
12 Safety Commission website and the archived webcasts  
13 and audio files will also be stored on this site.

14                           As a courtesy to others in the  
15 room, please silence your cell phones and other  
16 electronic devices. Thank you.

17                           CHAIRPERSON GRAHAM: Thank you  
18 very much, Kelly, and good afternoon everyone.  
19 Welcome to -- welcome to everyone joining us today  
20 either through audio link or on the internet. My  
21 name is Alan Graham; I'm the Chair of the Joint  
22 Review Panel. The other members of the panel with  
23 me today are Madam Beaudet, on my right, and Mr.  
24 Ken Pereira on my left.

25                           The procedures that we'll start

1 with today and we're trying to adopt this now on a  
2 routine basis, is to go into undertakings that were  
3 given over the -- over the period of the hearings  
4 and which may be due today. So I will ask Mr.  
5 Bourgeot to go through the ones that are up today  
6 and -- and get an update on those. Mr. Bourgeot?

7 --- UNDERTAKING STATUS:

8 MR. BOURGEOT: I would like to  
9 remind you that the undertaking list is updated  
10 daily on the CEAA registry as of now. In the  
11 matter of the panel hearing undertakings that are  
12 due today, I will address OPG pertaining to  
13 undertaking 36, an explanation of the exceedances  
14 from OPG nuclear facilities listed on the MOE-2009  
15 Industrial Sewage Monthly Summary all regions. Are  
16 you prepared to address this undertaking?

17 MS. SWAMI: Laurie Swami, yes, we  
18 are. We have provided a table that expands on the  
19 information provided in the Ontario Ministry of  
20 Environment's 2009 Industrial Sewage Summary  
21 Report. And I will speak briefly to the table.  
22 OPG, just to give some context, OPG is required by  
23 its certificates of approval for industrial sewage  
24 works, issued by the Ontario Ministry of  
25 Environment to report to the ministry any time it

1 exceeds prescribed effluent limits.

2 OPG is also required to report to  
3 the ministry when there is an exceedance under the  
4 effluent monitoring and effluent limits regulation  
5 for electric power generation sector which is one  
6 of the ministry's MESA regulations. The -- the  
7 summary that was provided deals with both of these  
8 types of reports.

9 In the table, filed to address  
10 this undertaking, we have described each  
11 occurrence, the reason for the occurrence and the  
12 actions taken to prevent recurrence. I won't speak  
13 to each one of them in detail today, but will be  
14 available should you have questions later during  
15 the hearing process.

16 However, I'd like to provide a bit  
17 of context on two exceedances that are noted as  
18 being acute lethality. And that's -- looks -- the  
19 MESA requirements are for performance of acute  
20 toxicity testing using two tests. One is the  
21 Daphnia magna or water flea test and the other  
22 includes Rainbow Trout. If the sample passes it  
23 means that sample is subjected to organisms. If 50  
24 percent of the organisms survive, it's considered  
25 to have passed the toxicity test.

1                   So I use an example to describe  
2 this. On February 2<sup>nd</sup> of 2009, a sample was taken  
3 from the Darlington Active Local Waste Management  
4 System prior to discharge to the condenser cooling  
5 water system which is ultimately discharged into  
6 the lake. The sample failed the test for Daphnia  
7 magna. There was no mortality associated with the  
8 Rainbow Trout test. Discharge samples taken after  
9 this event have passed the MESA requirements.

10                   Our review indicated that we had  
11 undertaken the draining and refilling of the  
12 injection water storage tank as part of our  
13 preparations for the vacuum building outage that  
14 occurs once every 12 years. The water in that tank  
15 is de-mineralized and treated with chemicals to  
16 prevent corrosion. And just of note, de-  
17 mineralized water is generally toxic when  
18 discharged without treatment. And although we  
19 treated this effluent, we concluded that the volume  
20 of the water in this instance was greater than our  
21 effluent management system could address.

22                   As a result of the event, we have  
23 taken steps to ensure that water drained from this  
24 tank is separately processed through an ion  
25 exchange column and adjusted for hardness prior to

1 discharge into the Active Local Waste Management  
2 System.

3                                 Now, as noted on the ministry  
4 summary table, the MOE has recently introduced an  
5 environmental penalty system for these types of  
6 exceedances. Environmental penalties are  
7 calculated based on a prescriptive formula  
8 established by regulation. You will note that in  
9 two cases at Pickering, environmental penalties  
10 were assessed by the ministry and paid by OPG. In  
11 both cases, the maximum reductions were applied by  
12 the ministry to take account of OPG's environmental  
13 management system.

14                                 Mr. Chair, if I could, on  
15 undertaking number 35 that arose in the context of  
16 the discussion with Mr. Hogarth of the Department  
17 of Fisheries and Oceans, regarding authorizations  
18 under the *Fisheries Act*, I would like to take an  
19 opportunity to briefly speak to that issue as well.

20                                 The absence of an --

21                                 CHAIRPERSON GRAHAM: Please  
22 proceed. I guess we'll do them and then we'll come  
23 back -- come back to --

24                                 MS. SWAMI: Thank you. The  
25 absence of an authorization for the ongoing

1 impingement and entrainment of fish reflects the  
2 historic common practice of incidental takings not  
3 requiring authorization. OPG is working with MNR  
4 and DFO to determine the most effective means of  
5 bringing our plants into compliance with the  
6 *Fisheries Act*, including design improvements and  
7 offsetting compensation. As described by Mr.  
8 Hogarth on Tuesday, OPG has entered into an  
9 agreement with DFO and MNR to address this issue  
10 for our existing sites on a prioritized basis.

11 OPG further understands that DFO  
12 is addressing existing plants on a risk basis  
13 approach. In the original design for the  
14 Darlington nuclear generating station, OPG  
15 implemented modern design features that  
16 significantly reduce impingement and entrainment  
17 and believes that that design adequately addresses  
18 the issues today. OPG does not believe that our  
19 operations are having effects on the fish  
20 population. Thank you.

21 CHAIRPERSON GRAHAM: Thank you  
22 very much, Ms. Swami. There -- all of these  
23 undertakings will probably generate some questions  
24 from the panel, and early next week we will be  
25 scheduling some time, and all those that are



1 agencies. And I think the CNSC will be providing a  
2 long list of those. We participate by providing  
3 the dose information that we have to ensure that  
4 our information is incorporated into any studies  
5 where Canadian workers are considered. Thank you.

6 CHAIRPERSON GRAHAM: Thank you.  
7 The next one?

8 MR. BOURGEOU: CNSC regarding  
9 Undertaking 30, to provide a list of health studies  
10 that have been conducted in nuclear communities and  
11 the main findings to provide details on  
12 methodologies. Are you prepared to address this  
13 undertaking?

14 DR. THOMPSON: Patsy Thompson, for  
15 the record. Yes, we are. Numerous studies have  
16 established that exposure to moderate to high  
17 radiation doses increase the risk of cancer.  
18 Regulatory agencies, such as the CNSC, have put in  
19 place radiation protection framework based on those  
20 limits and the requirements to keep doses as low as  
21 reasonably achievable. The assessment of risks is  
22 ongoing as new laboratory and epidemiological  
23 studies are reported in the scientific literature  
24 and reviewed by international committees.

25 This undertaking describes the

1 types of epidemiological studies, summarises the  
2 main studies conducted to date and briefly  
3 discusses the linear no-threshold model as well as  
4 alternative risk models that are presented in  
5 literature.

6                               If you will allow us, Ms. Lane  
7 will provide a brief overview of the studies we've  
8 included in the undertaking, and should the  
9 Commission -- or the panel require more  
10 information, we would update the undertaking. It  
11 will be -- it's been photocopied now and the panel  
12 will be provided with copies today.

13                               CHAIRPERSON GRAHAM: Ms. Lane?

14                               MS. LANE: Rachel Lane. I'm the  
15 acting director for Radiation and Health Sciences  
16 Division.

17                               The atomic bomb survivor studies:  
18 The main radiation effects observed are cancer,  
19 both solid cancer and leukemia. The excess risk of  
20 cancer increases literally as the dose increases.  
21 In utero exposures can result in childhood cancers,  
22 cancer in adulthood, and mental retardation and  
23 delayed growth. Survivors' offspring conceived  
24 after the bombings had no excess of congenital  
25 anomalies, mortality or cancer incidents when

1 followed through to the 1990s.

2                               From the atomic bomb survivor  
3 studies the incidents of solid cancers and leukemia  
4 provide some of the best evidence of the linear no-  
5 threshold model, down to doses of approximately 100  
6 milliseverts.

7                               Genetic effects have been observed  
8 in plants and animals at high exposures, but have  
9 not been observed in human populations. Studies of  
10 30,000 children exposed -- sorry, studies of 30,000  
11 children of exposed atomic bomb survivors show a  
12 lack of significant adverse genetic effects.  
13 However, the ICRP risk factor for humans attributes  
14 a small risk of hereditary effects based on animal  
15 studies.

16                              The Chernobyl accident: Twenty-  
17 five years after the accident, several important  
18 health impacts have been observed. The initial  
19 disease projection on the basis of the linear non-  
20 threshold model and dose estimates, grossly over-  
21 estimated the number of deaths as a result of the  
22 accident. The observed health effects are: Acute  
23 radiation syndrome. This was found in 134 plant  
24 and emergency workers. Twenty-eight died within  
25 the first few months of the accident, and 19

1 additional workers have died up to 2006.

2                   Thyroid cancer: About 7,000 cases  
3 of thyroid cancer for children and adolescents  
4 exposed to iodine 131 in 1986 have been observed.  
5 More cases are expected in the next decades among  
6 those children or adolescents exposed in 1986.  
7 There have been a total of 15 deaths from thyroid  
8 cancer among these children.

9                   Fears of in utero exposure and  
10 birth defects were widespread. However, there is  
11 no evidence of radiation effects or infant  
12 mortality. Quite a high rate of infant mortality  
13 compared to other countries, however, was noted in  
14 both contaminated and uncontaminated areas.

15                   The German KIKK Study: This case  
16 control study involving childhood leukemia cases  
17 near 16 major nuclear power plants in Germany found  
18 a statistically significant increase in risk of  
19 childhood leukemia in children younger than five  
20 years old, decreased in distance from the German  
21 nuclear power plants. The authors noted there was  
22 no clear explanation for a causal relationship  
23 between any non-risk factor and the study findings.  
24 They noted several flaws in their study, and also  
25 that the observed trend in risk decreased over

1 time. Similar case control studies that were  
2 conducted at the same time in France and in Britain  
3 found no such effect.

4 Canadian studies: Numerous  
5 Canadian studies have been conducted in Canada.  
6 Descriptive ecological studies have provided  
7 evidence of a non-significant increase in childhood  
8 leukemia, birth defects, and other diseases near  
9 Canadian nuclear facilities. These studies were  
10 followed up with Canadian case control studies.  
11 These more robust study designs found no evidence  
12 that childhood leukemia or genetic anomalies were  
13 related to parental pre-conception radiation  
14 exposure. These studies are consistent with  
15 authoritative reviews of pre-conception exposure  
16 and the health effects of offspring.

17 Cohort studies have also been  
18 conducted in Canadian nuclear workers. Workers are  
19 healthier than the general population. The studies  
20 also conducted internal analyses of these workers  
21 where they can -- had comparison among the workers  
22 with various radiation exposures. These studies  
23 provide no substantial evidence of a positive  
24 relationship between workers, radiation dose and  
25 solid cancer risk.

1                   In summary, based on a weight of  
2 evidence analysis of the many epidemiological  
3 studies of populations in the vicinity of nuclear  
4 facilities, there is no substantive evidence that  
5 there are any adverse health effects related to  
6 environmental radiation exposures from these  
7 facilities. Thank you.

8                   DR. THOMPSON: Patsy Thompson --

9                   CHAIRPERSON GRAHAM: Thank you  
10 very much, Ms. Lane. Go ahead, Dr. Thompson.

11                  DR. THOMPSON: Sorry. The  
12 epidemiological studies that have been just  
13 described form the basis for the linear no-  
14 threshold model, and this model is the most widely  
15 accepted risk model, both for radiation exposures  
16 as well as for chemical carcinogens. There was  
17 little evidence of adverse health effects at doses  
18 below about 100 milli-sievert.

19                  Since there is no certainty in the  
20 linear no-threshold relationship for radiation  
21 exposures, other models have been proposed on the  
22 basis of mechanistic, which means cellular or  
23 subcellular experimental studies, as well as  
24 studies conducted on animals.

25                  Both the International Commission

1 on Radiological Protection and the Committee  
2 referred to as the BEIR 7 Committee stated that  
3 while evidence supports other models, the LNT  
4 model, the Linear No-Threshold Model, provides the  
5 best overall fit for radiation protection purposes.

6 The CNSC will continue to review  
7 the scientific literature and participate in  
8 international committees to ensure that our  
9 radiation protection standards provide a high  
10 degree of protection to workers and members of the  
11 public.

12 As mentioned a few minutes ago,  
13 the undertaking is being provided to the  
14 secretariat, and if more information is needed, we  
15 would update the undertaking.

16 CHAIRPERSON GRAHAM: Thank you  
17 very much, Dr. Thompson. Mr. Bourgeau, do you have  
18 any others?

19 MR. BOURGEOU: Yes, we do. CNSC  
20 in regards to Undertaking 42, dose limits for US  
21 and international nuclear workers. Are you  
22 prepared to address this undertaking?

23 MS. THOMPSON: Patsy Thompson for  
24 the record. We are getting the information, and we  
25 would submit it to the secretariat tomorrow.

1 CHAIRPERSON GRAHAM: Thank you.

2 (SHORT PAUSE)

3 MR. BOURGEOU: In regards to  
4 Undertaking 21 for Health Canada to provide  
5 recreational water quality regulatory regime, the  
6 panel has not received it yet, and we will report  
7 back on it tomorrow. This ends the undertakings  
8 for today.

9 CHAIRPERSON GRAHAM: Thank you  
10 very much, Mr. Bourgeau, and now we'll go to our  
11 schedule for today, in which the first -- after  
12 we've done the undertakings which I thank you for  
13 an update, we will now start today's session with a  
14 presentation by the Community Coalition Against  
15 Mining Uranium as outlined in PMD 11-P1.173, and I  
16 believe Mr. Erlichman is the presenter today.  
17 Welcome, sir, and the floor is yours.

18 --- PRESENTATION BY MR. ERLICHMAN:

19 MR. ERLICHMAN: My name is Wolfe  
20 Erlichman. I am President of the Community  
21 Coalition Against Mining Uranium or CCAMU. CCAMU  
22 is a group of concerned citizens from the greater  
23 Ottawa Valley and Kingston area who came together  
24 to protect our air and water in light of the  
25 possibility of a uranium mine in the Frontenac and

1 Lanark region.

2                                   One of the things we did, in April  
3 2008, we held a citizens' inquiry into the impacts  
4 of the uranium cycle, which had 230 written  
5 submissions and 157 presentations. And details of  
6 that is on our website, which is called  
7 uraniumcitizensinquiry.com.

8                                   On December the 10<sup>th</sup> of 2008, we  
9 made a presentation to a CNSC panel looking at the  
10 issues surrounding the possible refurbishment of  
11 the Pickering reactor. At that time, we said that  
12 we should not be wasting precious time and tax  
13 payers' money trying to find ways of mitigating the  
14 harmful effects of a dangerous technology.

15                                   We are here to repeat that  
16 message. We agree with the other presenters that  
17 we are dealing with a technology that has to be  
18 handled very carefully and which can have  
19 significant impacts on the environment.

20                                   Our concerns today relate to  
21 broader environmental issues such as global  
22 warming, efficient use of resources, nuclear  
23 weapons proliferation, and the building of nuclear  
24 reactors by countries with lower environmental  
25 standards than Canada's.

1                   There does not seem to be a place  
2 to discuss these larger environmental issues and  
3 the existing environmental or licencing process.  
4 If they are discussed at all, it is usually done in  
5 a very unsatisfactory way in the political process.

6                   We are concerned that by building  
7 these reactors, our government will be sending the  
8 wrong environmental message to the world. We will  
9 be telling the world that Ontario will not be a  
10 jurisdiction which will be focused on developing  
11 renewable resources. With most of the money  
12 committed to nuclear reactors, there won't be any  
13 money for a serious attempt to develop real, clean,  
14 and renewable energy.

15                   As well, with nuclear mandate to  
16 produce 50 percent of our electricity, there will  
17 be no room in the system for any significant  
18 contribution from sustainable resources.

19                   For the same reasons, conservation  
20 efforts will also be downgraded. This means that  
21 we will be continuing business as usual. We will  
22 be accepting the nuclear industry's promise that it  
23 can provide us with unlimited electricity. This  
24 will allow us to continue our wasteful lifestyle.

25                   The reality is that we have to

1 conserve the world's limited resources. We have to  
2 find clean and renewable sources of energy, and we  
3 have to seriously cut back on our consumption.

4                   The nuclear industry by making the  
5 false promise that it will provide us with  
6 reliable, clean, safe, and affordable power and by  
7 taking the dubious position that only coal or  
8 nuclear can provide base load electricity stands in  
9 the way of the changes we have to make in order to  
10 build a clean, sustainable world.

11                   By going ahead with reactors at  
12 Darlington, we are putting Ontario's stamp of  
13 approval on nuclear power, and this might encourage  
14 other countries to build their own reactors. This  
15 would increase the chances of catastrophic events,  
16 such as the one in Japan, as other countries may  
17 not be as careful about nuclear power as Canada is.

18                   For example, our uranium  
19 reprocessing plant in France is currently polluting  
20 the North Sea with radioactive waste. More nuclear  
21 plants worldwide will probably mean that background  
22 radiation will increase and could result in  
23 unforeseen consequences.

24                   I have explained how building  
25 nuclear reactors will have a negative effect on

1 developing real, clean -- real, clean, and  
2 renewable energy, but there's a worse scenario.

3                   Nuclear reactors are famous for  
4 never being built on time or on budget. The  
5 reactor being built in Finland by France is, as you  
6 know, a good current example. However, in Canada,  
7 we have had reactors which were not only not on  
8 time or on budget, but they didn't work when they  
9 were finally finished.

10                   The first Gentilly reaction in --  
11 reactor in Quebec did not work, and the two MAPLE  
12 reactors at Chalk River don't work. Therefore, it  
13 is conceivable that one or more of the proposed new  
14 build reactors at Darlington may not work either.

15                   It is possible that Ontario could  
16 waste 10 or 15 years and billions of dollars when  
17 we could have used the time and resources on  
18 building a truly sustainable system.

19                   What will be the source of power  
20 if the new reactors don't work? What effect will  
21 that have on the environment?

22                   Another problem with legitimizing  
23 nuclear power is that it allows countries which  
24 want to build nuclear weapons to have a valid  
25 reason for building reactors. As you know, India

1 used the Canadian reactor to develop its nuclear  
2 weapons program.

3                   If nuclear power is seen -- is not  
4 seen as a viable energy option, this may help stop  
5 nuclear weapons proliferation.

6                   We may disagree about how safe the  
7 reactors are in Ontario, but if there are problems  
8 with reactors anywhere in the world, it is quite  
9 possible that we could feel the effects in Ontario,  
10 and in that sense, everybody on earth is living  
11 beside a reactor.

12                   The Chernobyl and Fukushima  
13 reactors are examples of this. So the greater the  
14 number of reactors worldwide, the greater the  
15 chance of there being a catastrophic event. A non-  
16 nuclear clean world environment would be a clean  
17 environment for Ontario.

18                   We are participating in a historic  
19 event. Ontario has to make a choice which will  
20 decide the future course of energy for generations.  
21 For politicians, it is easier to choose nuclear  
22 power because although it is expensive, it does  
23 provide a tourniquet solution, and there is an  
24 existing powerful constituency which benefits from  
25 it.

1                   On the other hand, sustainable  
2 sources -- choices are more difficult because there  
3 is no clear blueprint that can be followed and  
4 there are many vested interests who want to keep  
5 the system as it is.

6                   So in conclusion, we recommend  
7 that nuclear reactors not be built and that  
8 sustainable choices be made instead. So that's the  
9 end of my presentation.

10                   I just have a couple of questions  
11 which may or may not -- you may -- I don't know if  
12 you can answer or want to answer. One, the first  
13 is that is OPG prevented by law from building large  
14 scale voltaic and wind projects? And the second  
15 question is -- is this: I'd like to know if it is  
16 within the scope of your panel to use the arguments  
17 that I have made in coming to your conclusions?

18                   CHAIRPERSON GRAHAM: Thank you  
19 very much, Mr. Erlichman, for your presentation,  
20 and we will now go to members of the panel who may  
21 have questions to you or to the -- the -- to the  
22 presenter or to OPG or staff at CNSC. So I'll  
23 start off with Madame Beaudet.

24 --- QUESTIONS BY THE PANEL:

25                   MEMBER BEAUDET: Thank you, Mr.

1 Chairman. Good day, everyone. Your organization  
2 is called Community Coalition Against Mining  
3 Uranium. We had a lady who -- who was here a few  
4 days ago also defending the invasion of the mining  
5 industry on private land, and I'd like to hear a  
6 little bit more about your coalition. Are you in  
7 the same stream of thought of trying to prevent  
8 mining of uranium on private land?

9 CHAIRPERSON GRAHAM: Sir, if you'd  
10 press the microphone and introduce yourself each  
11 time just so we can get it on the -- on the  
12 synoptics. Thank you.

13 MR. ERLICHMAN: Wolfe Erlichman.  
14 The proposed mine that we're fighting in the  
15 Sharbot Lake area was a combination of private and  
16 public land. The -- the people who wanted -- who  
17 were interested in mining the uranium had staked  
18 private land, but, in fact, the work that they were  
19 doing -- they were actually doing the work on Crown  
20 land, so it was -- it was a mixture of both.

21 MEMBER BEAUDET: How many members  
22 do you have? Do you -- group, associations or just  
23 private individuals?

24 MR. ERLICHMAN: It's essentially  
25 individuals. We don't sort of have members per se.

1 It's a large -- basically, it's -- it's kind of an  
2 issue-oriented kind of thing and -- and we operate,  
3 you know, through just meetings and consensus and  
4 that kind of thing.

5 MEMBER BEAUDET: You also have in  
6 your presentation, looking at other types of energy  
7 -- and I was wondering if your group also is active  
8 in not only making people aware of uranium mining,  
9 but also giving opportunities to be more learned  
10 people on other alternatives of energy than nuclear  
11 power?

12 MR. ERLICHMAN: Well, that's  
13 right. We -- Wolfe Erlichman. Yes, we do that.  
14 And so, yeah, we're -- you know, we try to teach  
15 people that renewable is doable. And -- and  
16 individual people, you know, have put up solar  
17 panels and that kind of thing, so -- so certainly  
18 that's been a journey -- my journey personally  
19 because I originally started this.

20 I was curious about the  
21 possibility of a uranium mine and then I -- I was  
22 concerned and so I worked to try to stop it and  
23 then, as a result of that, I became familiar with  
24 nuclear energy and -- and then became familiar with  
25 alternatives, so I've sort of gone through the

1 progression.

2 MEMBER BEAUDET: Thank you. Thank  
3 you, Mr. Chairman.

4 CHAIRPERSON GRAHAM: Thank you,  
5 Madame Beaudet. Mr. Pereira?

6 MEMBER PEREIRA: Thank you, Mr.  
7 Chairman.

8 Last week we had the assistant  
9 deputy minister of energy from the province of  
10 Ontario before us, explaining the background to the  
11 decisions of the province to maintain a 50 percent  
12 nuclear baseload generation capacity and to invest  
13 in new reactors at Darlington. And we asked  
14 questions about the consultation that -- that was  
15 conducted in Ontario to arrive at a -- at that  
16 decision. And the assistant deputy minister did  
17 tell us about consultation at different stages in  
18 their decision-making process.

19 Did your organization participate  
20 in those discussions because, in a sense, the  
21 decision to go with new nuclear comes from the  
22 province of Ontario and not from OPG.

23 MR. ERLICHMAN: Wolfe Erlichman.  
24 We didn't participate in them because -- do you  
25 know when they made the decision to go ahead with

1 -- with the reactors?

2 MEMBER PEREIRA: A number of  
3 stages at different points, there were decisions  
4 they wanted to go with nuclear then. A new long-  
5 term energy plan was issued last year --

6 MR. ERLICHMAN: Right.

7 MEMBER PEREIRA: -- but prior to  
8 2006 was the first --

9 MR. ERLICHMAN: Yeah.

10 MEMBER PEREIRA: -- decision on  
11 commitment to 50 percent.

12 MR. ERLICHMAN: We were more  
13 focused on -- at that point on trying to stop the  
14 -- the proposed uranium mine and we were more  
15 focused on the mining -- *Ontario Mining Act* and so  
16 we didn't -- we, at that time, weren't as focused  
17 on -- on nuclear power. We were -- we were busy  
18 with -- with our other things.

19 MEMBER PEREIRA: So my point is  
20 that some of the decisions were made ahead of this  
21 panel's hearings. And this panel is looking at the  
22 environmental impact of building new nuclear, which  
23 arises from a decision made by the government of  
24 Ontario.

25 MR. ERLICHMAN: Right.

1                                   MEMBER PEREIRA:  And beyond that,  
2  worldwide, a number of countries, as you know, that  
3  have committed to nuclear power and generate a lot  
4  of their electricity from nuclear energy because of  
5  their consideration of nuclear and oil and gas and  
6  coal as being baseload generation strategies, what  
7  are your thoughts on the challenges generating  
8  baseload electricity using renewables and the  
9  options that you are proposing?

10                                  MR. ERLICHMAN:  Wolfe Erlichman.  
11  I personally have strong feelings that -- that we  
12  have not had very good evidence that baseload can't  
13  be provided by renewables.  When I look at the CNA  
14  website and -- and read materials put out by people  
15  in the nuclear industry, I don't see any  
16  statistics.  They basically just seem to repeat the  
17  mantra that the sun doesn't shine at night and the  
18  wind sometimes doesn't blow.  People that -- that  
19  -- groups that have done -- crunched the numbers,  
20  like the Pembina Institute, they seem to think that  
21  we can produce baseload.  And -- and so there are  
22  other -- so I -- I do believe that we can get  
23  baseload in -- in various ways.

24                                  The other thing that I think is  
25  that the renewable technology, especially the

1 photovoltaic technology and the storage technology,  
2 is -- is really growing very rapidly. The pace of  
3 change is -- is quite tremendous and that will, I  
4 think, just -- practically will outpace nuclear, if  
5 it hasn't done so already, because nuclear is very  
6 old, outdated technology. It -- it doesn't fit  
7 into the information technology situation that we  
8 -- that we find ourselves in.

9                   MEMBER PEREIRA: There is some  
10 experience in Ontario with generation from  
11 renewables and I'm not sure whether it's fair to  
12 ask Ontario Power Generation of the experience over  
13 the last two or three years of having renewable  
14 sources on the grid. I am not sure whether Ontario  
15 Power Generation operates some of these facilities  
16 like wind power and solar power.

17                   Is Ontario Power Generation able  
18 to give us any information on the capacity factors  
19 and -- is this something you can speak to?

20                   MR. SWEETNAM: Albert Sweetnam for  
21 the record. Ontario Power Generation's mandate  
22 does not include renewables. That's a specific  
23 directive from the province of Ontario. The  
24 province of Ontario is addressing renewables  
25 through their FIT program, where private enterprise

1 can apply through the OPA and be granted a purchase  
2 -- a power purchase agreement to develop either  
3 solar or wind.

4 I think it would be best to  
5 address the question on capacity factors for both  
6 solar and wind to the OPA; however, if you go back  
7 through the record -- a transit, you will see that  
8 the deputy minister had actually quoted the  
9 capacity factors. I don't recall them offhand, but  
10 they're in the record.

11 MEMBER PEREIRA: Thank you very  
12 much. We can -- we can look back at that, in fact,  
13 for our consideration. Thank you. Thank you, Mr.  
14 Chairman.

15 CHAIRPERSON GRAHAM: Thank you,  
16 Mr. Pereira. You asked two questions and the first  
17 one was a legal one which I will not respond, but  
18 the second was the panel will listen to all  
19 intervenors. We'll write our report -- make our  
20 decision, write our report. That then goes to the  
21 federal minister. The federal minister will then  
22 refer that to the cabinet for a decision. So there  
23 is a process which has been outlined in the panel  
24 agreement, but that is the process that we'll  
25 follow.

1                   With that, I will go to questions  
2 from the floor. And the first question I have is a  
3 question -- any questions to the presenter from  
4 OPG?

5                   MR. SWEETNAM: Albert Sweetnam.  
6 No questions.

7                   CHAIRPERSON GRAHAM: Thank you.  
8 To CNSC, do you have any questions?

9                   DR. THOMPSON: Patsy Thompson. No  
10 questions. Thank you.

11                  CHAIRPERSON GRAHAM: Thank you,  
12 Ms. Thompson -- or Dr. Thompson. The next is  
13 government participants, government organizations.  
14 I don't see any government organizations, federal  
15 or provincial. Then we'll go to the floor and we  
16 have one questioner. Mr. Kalevar, welcome back.

17 --- QUESTIONS BY THE INTERVENORS:

18                  MR. KALEVAR: Thank you, Mr.  
19 Chairman, for welcoming me back. I appreciate --  
20 listening to my questions.

21                  You have made some very good  
22 points I can hardly disagree with. But let me ask  
23 you, the renewable energy that you are suggesting,  
24 you know, and that creates always the question of  
25 baseload, will it mean baseload?

1                   Firstly, as I'm sure you're aware  
2 that the battery technologies, they're developing  
3 and trying to fill that gap. I will say that even  
4 if -- let's say the battery technology is not  
5 sufficiently developed to meet the low levels of  
6 nuclear -- I mean of renewable energy.

7                   CHAIRPERSON GRAHAM: Mr. Kalevar,  
8 could you get to your question, please?

9                   MR. KALEVAR: Yeah, I'm just --

10                  CHAIRPERSON GRAHAM: Just a  
11 question because we have a very long agenda. We'd  
12 love -- always like to hear you, but please get to  
13 your question.

14                  MR. KALEVAR: Well, I just set up  
15 the platform and now the question is, do you think  
16 baseload is more important than the medical safety  
17 of the public at large because the dangers that  
18 nuclear power poses?

19                  CHAIRPERSON GRAHAM: Thank you,  
20 Mr. Kavelevar. Mr. --

21                  MR. ERLICHMAN: Wolfe Erlichman.  
22 I think we can do base-load without using nuclear  
23 power.

24                  CHAIRPERSON GRAHAM: Thank you,  
25 very much. With that, I have no more indications

1 of questions. Thank you very much for coming  
2 today. Thank you for presenting your views  
3 of -- which the panel is always interested in  
4 everyone's interventions.

5 We will now move to our next  
6 intervenor, which is Mr. George Biro on PMD11P1.242  
7 and, Mr. Biro, the floor is yours, sir?

8 The mic -- there is a button there  
9 to press the mic on and then there's -- each time  
10 when you're finished, turn it off, please, because  
11 we get a ringing noise, if there is too many mics  
12 on. And each time you speak, would you identify  
13 yourself? Thank you very much and you may proceed?

14 --- PRESENTATION BY MR. BIRO:

15 MR. BIRO: Thank you. George  
16 Biro, retired professional engineer. Ladies and  
17 gentlemen of the panel, I had initially planned to  
18 start by expressing regret that these hearings are  
19 being held at all. That they are continuing in  
20 spite of the still unfolding disaster at Fukushima,  
21 speaks to a profound lack of wisdom, coupled with a  
22 relentless drive for profit and power, unconcerned  
23 with public sentiments.

24 As I wrote this on Monday, I am  
25 particularly astounded by a small detail in the

1 report from Japan. Soil samples show traces of  
2 plutonium in five adjacent locations.

3 No surprise, as the samples were  
4 taken immediately outside the grounds of the  
5 leaking reactors. What is a surprise worth  
6 considering is that only two of the plutonium  
7 samples originated from the reactor complex.

8 The majority, leftovers from  
9 previous testing during the past six decades, could  
10 have been detected anywhere on earth.

11 The world hopes that the efforts  
12 of the doomed heroes of Fukushima will stave off a  
13 major disaster and that of the now dead heroes of  
14 Chernobyl, but who will guard the same materials in  
15 100 years or in 500 years or in 1,000 years or in  
16 20,000 years.

17 I'll now read from my written  
18 submission.

19 "We must not fail to acknowledge  
20 that there are two conflicting world views. One of  
21 them ended its influence here 500 years ago. It  
22 was based upon the understanding that all  
23 creatures, including human beings were  
24 interconnected and at one with the earth.

25 It is the other world view that

1 came to the fore, mainly by overwhelming brute  
2 force said to be justified by God. It touched all  
3 parts of the world and goes on to today generally  
4 in the wake of U.S. and Allied Military Force.

5                   The attitudes and methods, which  
6 led to the near extinction of North American  
7 Natives can best be observed in the Israelis  
8 treatment of the occupied and dispossessed  
9 Palestinians.

10                   Although our own oppression of  
11 Haitians and Afghans, and we'll soon possibly add  
12 Libyans. It's not far from behind -- it's not far  
13 behind." Excuse me.

14                   "Our other world views sees the  
15 earth as ours to exploit, including the living  
16 things and any humans conveniently proved inferior.

17                   Profit can be made from all with  
18 impunity. Our laws enshrine our world view, and  
19 our institutions are self-perpetuating, but driving  
20 Natives to near distinction did nothing to  
21 invalidate their world view.

22                   We were successful only in making  
23 their traditional lifestyle impossible. Long  
24 before we coined words for ecology and environment  
25 and genetics and half-life.

1                   Meanwhile only the most deluded of  
2 us fails to recognize that our world view has been  
3 proven unworkable in the long run. It is  
4 absolutely shameful that we would even consider new  
5 nuclear projects given the knowledge we have gained  
6 in the past 60 years.

7                   Uranium mining was singled out for  
8 a moratorium by the handful of remaining proponents  
9 of the first world view. It is no accident that  
10 opposition to uranium mining seems stronger in the  
11 Native community.

12                   The Algonquin moratorium is recent  
13 and based partly on scientific knowledge as well as  
14 traditional wisdom. It was, however, previous  
15 decisions, which linked Natives to deposits of  
16 uranium.

17                   The assignment of land for  
18 reservations was mostly based on its unsuitability  
19 for other uses. It was land relatively  
20 unproductive. Not as vibrant and healthy as the  
21 lands usurped by the settlers. Even safe in the  
22 ground for millions of years, it has been  
23 transparent to the conquerors long before they were  
24 able to make a Geiger Counter.

25                   Over the centuries Natives have



1 in a matter of weeks had distributed itself in the  
2 atmosphere and will continue to cause more death  
3 and sickness than 100 Hiroshimas.

4 It is well passed time for a  
5 moratorium on nuclear energy. We can be citizens  
6 of our communities, afraid for our children's  
7 survival. We can be citizens of Ontario afraid for  
8 our economic survival. We can be citizens of  
9 Canada, afraid not to hold a bully's coat.

10 But Kingston, Ontario and Canada,  
11 these are not real, they embody imaginary ideas of  
12 imperfect men, so let us deliberate and act as  
13 citizens of the world, perhaps even the citizens of  
14 Turtle Island. These concepts are real.

15 Let us accept this reality as the  
16 gift from the people we conquered. It could be the  
17 beginning of our seeing our world order for what it  
18 is, an engine for consuming and polluting the  
19 earth. An engine to dispossess those who do not  
20 pollute or consume fast enough. An engine to  
21 monetize all and then drain all resources to the  
22 few.

23 And uranium for what it is, a  
24 finite resource for a short-term, grossly  
25 inefficient and highly dangerous, but highly

1 profitable industry cloaked in Military secrecy and  
2 doublespeak.

3                   After six decades we are no closer  
4 to safe disposal of waste products, although people  
5 are trying seawater as a new twist right now. The  
6 only new idea was depleted uranium.

7                   Serbs and Iraqis will die faster  
8 for a while, but we all get some to add to the  
9 products of the 30,000 atmospheric tests and  
10 decades of weapons production.

11                   Our pitiful containment schemes  
12 depend on the survival of our runaway and  
13 unsustainable world view.

14                   Don't expect to see a mushroom  
15 cloud where uranium is mined, but do expect a  
16 devastation of the local watershed and the  
17 thousands of excess deaths in the region, which  
18 will be forever.

19                   As long as there is a profit, our  
20 present laws will extract it and allow it to float  
21 to those at the top.

22                   They who pull the strings feel it  
23 is essential to their survival among the rest of  
24 us, and it may well be if we allow ourselves to see  
25 money for what it is, a direct measure of the guilt

1 of destruction and dispossession.

2 Thank you very much.

3 CHAIRPERSON GRAHAM: Thank you  
4 very much, Mr. Biro. Thank you for your  
5 presentation.

6 We will now proceed to questions  
7 from panel members, and I'll start off with Mr.  
8 Pereira.

9 --- QUESTIONS BY THE PANEL:

10 MEMBER PEREIRA: Thank you, Mr.  
11 Chairman.

12 I'll ask you the same question  
13 that I asked the previous intervenor.

14 Did you participate in the  
15 consultation that the Department of Energy of the  
16 Province of Ontario held with respect to the  
17 Ministry of Energy with respect to decisions on  
18 energy options?

19 MR. BIRO: George Biro.

20 No, I did not.

21 But I feel a little bit of  
22 connection as a past student of Dr. Porter who  
23 headed the Porter Commission, which was, I think,  
24 instrumental in making the governments come to that  
25 decision.

1                   And whereas I had all but --  
2 nothing but admiration for Dr. Porter while I was  
3 his student, I feel that his commission came up  
4 with the wrong answers for the Province of Ontario.

5                   MEMBER PEREIRA: Thank you, Mr.  
6 Chairman. No further questions.

7                   CHAIRPERSON GRAHAM: Thank you,  
8 Mr. Pereira.

9                   Madam Beaudet?

10                  MEMBER BEAUDET: Thank you, Mr.  
11 Chairman.

12                  You say in your presentation that  
13 you began an unsuccessful campaign among your  
14 fellow professional engineers.

15                  I'd like to know first, are you a  
16 nuclear engineer?

17                  MR. BIRO: I am not a nuclear  
18 engineer.

19                  I am more of a systems engineer  
20 and industrial engineer.

21                  So I -- and I've never worked  
22 actually in the nuclear industry, but I have been a  
23 life-long follower of all things nuclear,  
24 especially bombs.

25                  MEMBER PEREIRA: So when you say

1 you started the campaign that was unsuccessful,  
2 would you mean -- did you start an organization?

3 How did you contact your peers and  
4 try to create a movement of opposition?

5 I would like to have more details  
6 on that.

7 MR. BIRO: It never really got off  
8 the ground.

9 What I was trying to do was among  
10 my fellow professional engineers, mostly at U of T  
11 and at Queen's, to rally around the idea that this  
12 was the most dangerous thing that we are facing in  
13 the history of mankind.

14 And for the most part, all the  
15 engineers that I contacted were, what I feel,  
16 unreasonably optimistic that all these problems  
17 will be solved in their lifetime or soon  
18 thereafter.

19 So there was never anything  
20 actually formed.

21 MEMBER BEAUDET: Thank you.  
22 Thank you.

23 CHAIRPERSON GRAHAM: Thank you  
24 very much, Madam Beaudet.

25 We will now go to questions from

1 the floor.

2 And the first I'll go to is OPG.

3 Do you have any questions to Mr.

4 Biro, OPG?

5 MR. SWEETNAM: Albert Sweetnam.

6 No questions.

7 CHAIRPERSON GRAHAM: CNSC, do you  
8 have any questions to Mr. Biro?

9 MR. HOWDEN: Barclay Howden  
10 speaking.

11 We have no questions.

12 But we'd like to make a comment on  
13 depleted uranium.

14 Under the Nuclear Cooperation  
15 Agreements for Canada -- and this is just for  
16 Canada -- there is -- anyone who imports uranium  
17 from Canada and enriches it, may not use Canadian-  
18 origin uranium in conventional armaments.

19 So I just wanted to make that  
20 clear from a Canadian perspective.

21 CHAIRPERSON GRAHAM: Thank you  
22 very much.

23 The floor to government  
24 participants, federal or provincial.

25 No, there is none.

1 Floor for public intervenors.  
2 And I have Mr. Kalevar for a  
3 question.

4 Mr. Kalevar, if you could be  
5 concise, it would be appreciated.

6 --- QUESTIONS BY THE INTERVENORS:

7 MR. KALEVAR: My aim is not that  
8 good, Mr. Chairman, but I'll try.

9 Mr. Engineer, I am also an  
10 engineer or was, anyway.

11 I would like to ask you in your  
12 many conversations with the many engineers that you  
13 canvassed, did you find these engineers willing to  
14 retrain themselves into renewable energy, or will  
15 they -- or were they too beholden to their rhythms  
16 of the paycheque, as I call it?

17 CHAIRPERSON GRAHAM: Mr. Biro?

18 MR. BIRO: George Biro.

19 I don't think I can recall anyone  
20 who took it seriously enough at the time to  
21 actually look at how it might affect his own life  
22 plan or career.

23 I think we have to approach this  
24 from the top.

25 CHAIRPERSON GRAHAM: Thank you

1 very much.

2 With that, I see no other  
3 questions.

4 Mr. Biro, thank you very much for  
5 coming. Thank you for your presentation and a safe  
6 trip back to -- oh, just one moment.

7 Someone didn't register, but --  
8 and so I can't introduce you, but you may have a  
9 question, and would you introduce yourself, sir?

10 MR. TROY: Sorry. My name is  
11 Richard Troy. I am a professional engineer.

12 Can I ask a question of the  
13 gentleman that talked about depleted uranium? Is  
14 that fair or --

15 CHAIRPERSON GRAHAM: You put your  
16 question to the Chair --

17 MR. TROY: Okay. But I --

18 CHAIRPERSON GRAHAM: -- and then I  
19 decide.

20 MR. TROY: Okay.

21 CHAIRPERSON GRAHAM: You ask --  
22 all questions come to me, sir.

23 MR. TROY: Okay. Sorry.

24 Okay. The gentleman mentioned  
25 that when Canada exports depleted uranium, it has

1 to be -- the government has assigned that they  
2 don't use that for armaments.

3 If that's correct, I just wondered  
4 if that applies to the United States as well.

5 CHAIRPERSON GRAHAM: Thank you  
6 very much.

7 Mr. Howden, would you like to  
8 respond to that? I will direct it.

9 And, sir, after this, if you don't  
10 mind, our procedure is lady at the back registers  
11 intervenors when they want to speak so we can keep  
12 an order to it and so we can introduce you.

13 But I'll allow your question, and  
14 I'll ask Mr. Howden to respond.

15 Thank you very much.

16 MR. HOWDEN: Barclay Howden  
17 speaking.

18 If I understand the question, it's  
19 regarding the US use of Canadian uranium that may  
20 be enriched thereby creating depleted uranium.

21 Presently under the Nuclear  
22 Cooperation Agreements with the United States,  
23 they're not able to use that depleted uranium in  
24 conventional armaments.

25 Just from a timing perspective,

1 the Nuclear Non-Proliferation Treaty was signed in  
2 1970, and following that, the Nuclear Cooperation  
3 Agreements were put in place. But the present  
4 regime is the -- that uranium may not be used for  
5 armaments.

6 CHAIRPERSON GRAHAM: Thank you.

7 Okay. That ends your  
8 presentation, Mr. Biro. Thank you very much for  
9 coming.

10 We will now go to the next  
11 intervenor for the day, and that is Madam Dorothy  
12 Goldin-Rosenberg under PMD11-P1.199.

13 Ms. Rosenberg, thank you very much  
14 for coming. The floor is yours. The mic is there.  
15 You can turn on. And each time you're asked a  
16 question, if you could -- or time you speak, if you  
17 could introduce yourself, we'd appreciate it.

18 Thank you very much and welcome.

19 We recognize that's been for the  
20 last eight days.

21 The floor is yours, Madam.

22 --- PRESENTATION BY MS. GOLDIN-ROSENBERG:

23 MS. GOLDIN-ROSENBERG: Thank you.

24 My name is Dorothy Goldin-Rosenberg, and I am -- I  
25 teach about environmental and ecosystem health at

1 the University of Toronto.

2 I am here today presenting on  
3 behalf of the Women's Healthy Environments Network.

4 I also work with the Toronto  
5 Cancer Prevention Coalition and the Canadian Cancer  
6 Society in the stakeholders' group as well as  
7 another -- a number of other organizations that are  
8 involved with health and the environment.

9 I -- my -- our Women's Healthy  
10 Environments Network, of which I'm the volunteer  
11 education coordinator, promotes a safe clean  
12 environment and the use of the precautionary  
13 principle with regard to contaminants causing harm  
14 to our health and ecosystem on which we depend.

15 It's the reason that I am doing  
16 this work.

17 And WHEN believes that individuals  
18 can make a difference when they take action for  
19 prevention in their homes, communities, and so on.  
20 But there's also a very important role for  
21 governments in protecting human health and the  
22 environment.

23 I'm not paid to be here. I'm here  
24 as a volunteer and out of my deep concern for the  
25 present and future of all life on earth, in

1 particular relating to the planned expansion of  
2 nuclear power at Darlington in Ontario.

3 As an environmental health  
4 researcher, educator, and film producer -- and I've  
5 done a film on children's health and the  
6 environment called Toxic Trespass and a film --  
7 another film called Exposure: Environmental Links  
8 to Breast Cancer.

9 I am aware that we have more than  
10 enough evidence of growing numbers of diseases and  
11 conditions related to preventable exposures of  
12 toxic and radioactive materials.

13 And I was wondering if I could ask  
14 the panel a little bit about who they are because I  
15 read your CVs, and I wanted to ask a question about  
16 how many of you are parents.

17 Can I ask that question of the  
18 panel, if you are parents?

19 CHAIRPERSON GRAHAM: You -- we'd  
20 ask you to do your presentation.

21 MS. GOLDIN-ROSENBERG: Okay.

22 CHAIRPERSON GRAHAM: Then we'll --  
23 then if panel members wish to --

24 MS. GOLDIN-ROSENBERG: Then I can  
25 find out about your --

1 CHAIRPERSON GRAHAM: -- wish to --

2 MS. GOLDIN-ROSENBERG: Okay.

3 CHAIRPERSON GRAHAM: -- we'll  
4 handle it that way -- presentation, then we'll then  
5 -- if panel members wish to -- wish to we will  
6 handle it that way. And I can assure the answer is  
7 in the affirmative for all of us.

8 MS. GOLDIN-ROSENBERG: Okay. And  
9 grandparents as well?

10 CHAIRPERSON GRAHAM: And  
11 grandparents as well.

12 MS. GOLDIN-ROSENBERG: Okay.

13 CHAIRPERSON GRAHAM: Anyway, I'm  
14 not speaking for everyone; I'm speaking for  
15 myself. I just want to say I notice you're reading  
16 your whole presentation and to allow time and  
17 making other points, maybe if you'd get to the  
18 points we'd appreciate it --

19 MS. GOLDIN-ROSENBERG: I will.

20 CHAIRPERSON GRAHAM: -- because we  
21 have read your presentation and I know the panel  
22 here has questions for you.

23 MS. GOLDIN-ROSENBERG: Okay, good.

24 In light of the serious and ever-more dangerous  
25 crisis in the Japan reactors at Fukushima, now

1 radiation is in the air, water and food despite the  
2 initial denials in the beginning. The health  
3 impacts are widespread and not only in Japan, but  
4 travelling all over the world. And this tragedy is  
5 much worse they're saying now than Three Mile  
6 Island according to reports yesterday and today.  
7 And there was a major article in the New York  
8 Times, "*Confidence Slips Away as Japan Battles*  
9 *Nuclear Peril*," with a whole lot of information  
10 about the different exposures that are happening,  
11 not only there, but in other parts of the world.

12 I made a list here of articles  
13 that have been in the newspapers since the Japan  
14 situation and how they relate to what's happening  
15 here in Ontario. I'm not sure if anybody here has  
16 mentioned previously the Chalk River near meltdown  
17 in 1952, in the past, if we're looking at the  
18 history of some of the nuclear accidents right here  
19 in Ontario. There was a major core meltdown and  
20 there was an explosion releasing radioactive gases  
21 into the atmosphere and it flooded the reactor  
22 basement with millions of litres of contaminated  
23 water.

24 This was an article that was in  
25 the paper. I was in Montreal at the time; I'm from

1 Montreal. And Barney Hannibal Pawlson (phonetic)  
2 was one of the cleanup people; he was in the  
3 military and many of them suffered gravely because  
4 of cleaning up that accident. And he was treated  
5 at a hospital in Montreal with people that I knew  
6 and it was a very public issue at the time for us.

7                   This article goes on to describe  
8 some of these issues, but then says the -- what we  
9 know of Three Mile Island, Chernobyl and now the  
10 horror of Fukushima, we -- it's a disturbing  
11 reminder that as long as we use nuclear reactors to  
12 generate power, there will always be potential for  
13 disaster.

14                   Then there was a headline the  
15 other day about a water leak at the Pickering  
16 nuclear plant. It was a radioactive water leak. I  
17 see that they're calling -- they're calling  
18 radioactive water de-mineralized water now in these  
19 articles. And this is really the language of  
20 neutrality that's coming into this. It's kind of  
21 normalizing radiation. It's making it seem like  
22 it's normal and that it -- you know, we should  
23 accept it and so on. But it was 73,000 litres of  
24 water released at the Pickering A generator.  
25 They're calling it negligible.

1                   Some of us are very concerned  
2 about the fact that there is no safe level of  
3 ionizing radiation and you know from my brief that  
4 I have examined the BEIR, the Biological Effects of  
5 Ionizing Radiation Number 7 Report of the National  
6 Academy of Sciences which says, "*There is no safe*  
7 *dose of radiation.*" There is no safe dose of  
8 ionizing radiation. "*Radiation is a known human*  
9 *carcinogen, mutogen and teratogen,*" if you read  
10 IARC, the International Agency for Research on  
11 Cancer. I teach about environmental and ecosystem  
12 health and I had been reading about these issues  
13 and studying these issues with radiation biologists  
14 for many years so I know of what I speak. And I'll  
15 comment later on the comments from CNSC because  
16 it's -- it really comes down to your scientist  
17 versus my scientist. And there are a whole range  
18 of scientists talking, as previous speakers spoke  
19 about. There are many, many other studies that  
20 showing quite a difference from what we heard.

21                   But what -- what this article went  
22 on to say is that in China, the government ordered  
23 a safety crackdown on new nuclear reactors in light  
24 of the nuclear crisis in Japan. And we are very  
25 concerned that this whole Japan experience be

1 utilized in terms of what's happening in Ontario in  
2 terms of health and safety.

3                               What -- what happened after this  
4 release from the Pickering reactor, at the end of  
5 this special interest station updates from -- from  
6 these reports, from Ontario Power Generation, the  
7 last line from these reports -- this I think --  
8 when was this dated, it's -- it was from March 15<sup>th</sup>  
9 and it said:

10                                       *"From a regulatory*  
11                                       *perspective this is a very*  
12                                       *low-level event. There's no*  
13                                       *impact to quality of drinking*  
14                                       *water."*

15                               Well, ionizing radiation tritium  
16 in the drinking water is a major concern to people  
17 in Ontario because we know that millions of people  
18 get their drinking water from Lake Ontario and our  
19 Toronto Cancer Prevention Coalition intervened with  
20 Toronto Public Health. It led to a whole series of  
21 events with Toronto Public Health, with the Board  
22 of Health, with city council, leading to the  
23 Medical Officer of Health writing a letter to the  
24 then Minister Broughton, which led to the issues  
25 about tritium in the drinking water, which have not



1 accident at Three Mile Island, right after that,  
2 you may remember Three Mile Island, they spilled  
3 the beans of the whole accident right after the  
4 accident. Then there were programs for people who  
5 were in the industries, not just the nuclear  
6 industry, but a whole range of other industries  
7 that were related to potential accidents. They had  
8 a special workshop on -- for media people, CEOs of  
9 these institutions, people who were going to handle  
10 audience reactions after major accidents.

11                   And one of the -- somebody who  
12 went to that -- one of those meetings, one of those  
13 workshops, wrote an article about it in a  
14 publication in the United States after Three Mile  
15 Island. And they were training people to respond  
16 to accidents, and they taught them and I made a  
17 couple of notes here, and it was after Three Mile  
18 Island. CEOs and public relations people were --  
19 were there.

20                   There's been a major accident;  
21 there have been spills and releases, but we have it  
22 all under control. So everybody, don't worry.  
23 There was no danger; there's no danger to the  
24 public. The -- the implication was, don't worry  
25 about it, we're taking care of you.

1                   So my concern when I see this,  
2 there is no impact to the quality of drinking  
3 water, I think back to those reassurances to the  
4 public that everything was safe and -- well, we  
5 hear that after all the accidents. I wanted to  
6 bring that up because the releases into Lake  
7 Ontario are routine releases from the existing  
8 reactors and those are routine in addition to the  
9 spills and accidents. There are routine emissions  
10 in the normal functioning of the nuclear reactor.  
11 So there's always tritium and other radionuclides,  
12 carbon 14 going into our drinking water as we live,  
13 breathe and talk, 24 hours a day, seven days a  
14 week, et cetera.

15                   So I get very concerned when I  
16 read about these reassurances that everything is  
17 safe when we know that it's potentially not. So  
18 another article that I got a headline for, was this  
19 no -- the -- "*A Brief Partial Loss of Power at the*  
20 *Pickering Nuclear Station, Unit One.*" And it said  
21 they experienced a brief, partial loss of power  
22 while performing start-up activities; standby  
23 systems automatically restored the power, "*With no*  
24 *impact on employee, public or equipment safety.*"  
25 Again, always the reassurances so reflecting the

1 public relations training.

2                   When you read about this spill of  
3 tritium into the drinking water, we are reminded  
4 that the 7,000 becquerels per litre, which is the  
5 allowable amount of tritium, now under the current  
6 standards. We have not heard back from the  
7 government, from the Ministry of the Environment  
8 following the Ontario Drinking Water Advisory  
9 Council's recommendations to lower the amount of  
10 allowable tritium to 100 and then to 20 becquerels  
11 per litre, when I read that this spill that they  
12 were talking about earlier was 56 becquerels per  
13 litre in the water for that spill.

14                   And ODWAC is recommending 20  
15 becquerels, coming down to 20 becquerels. So --  
16 and the California one is -- is a recommended 15  
17 becquerels. And others have low as well. You  
18 know, you can be a little bit concerned that we are  
19 not up to the mark.

20                   Then I have an article that  
21 says "Minor Quake Rattles the Ottawa Valley." This  
22 was March 29<sup>th</sup>. There was an earthquake. The 3.5  
23 magnitude quake struck 70 kilometres northeast of  
24 Chalk River, where the reactors are, according to  
25 Earthquakes Canada, and it says,

1 "By comparison the moderate  
2 June 23<sup>rd</sup>, 2010 quake  
3 northeast of Ottawa that  
4 toppled chimneys and caused a  
5 bridge to collapse, measured  
6 5.0."

7 And THEN it says,  
8 "The March 11<sup>th</sup> devastating  
9 northern Japan causing a  
10 full-blown nuclear crises  
11 measured 9.0."

12 However, the issue around  
13 earthquakes is very marginalized in all of this  
14 discussion. I'm not sure if other presenters have  
15 talked about earthquakes under the Pickering and  
16 Darlington reactors. Have -- had any -- have any  
17 of them spoken about earthquakes?

18 CHAIRPERSON GRAHAM: Yes, we had a  
19 lot of discussion the first day. We had present --  
20 or second day, I think it was. We had  
21 presentations from the geological survey group on  
22 earthquakes. There's been a map produced of  
23 earthquakes in this part of Ontario.

24 MS. GOLDIN-ROSENBERG: Okay.

25 CHAIRPERSON GRAHAM: It's part of

1 the record. And there's been a considerable amount  
2 whether we're on a fault or not, fault line,  
3 whether or not the magnitudes and what that means  
4 and so on. Yes, there has been and you can see  
5 that on our record.

6 MS. GOLDIN-ROSENBERG: Okay.  
7 Thank you. So I have a quote from a geologist, Joe  
8 Wallach, I don't know if his name is familiar to  
9 you. And then I have a list of ten studies  
10 relating to earthquakes that were sent by -- by him  
11 and others. And he said:

12 "I'm the person who  
13 discovered the fault that I  
14 named the Niagara-Pickering  
15 Linear Zone, because it goes  
16 beneath both the Niagara  
17 Peninsula and Pickering. It  
18 extends northward at least to  
19 Minden on the Canadian  
20 Shield, and southwest into  
21 Ohio. The structure was  
22 discovered by first looking  
23 at some geophysical maps,  
24 then topographic maps. There  
25 was precious little, if that,

1 on the geological maps, so I  
2 went and started looking.  
3 The reason that I'm writing  
4 this is to just try to help  
5 you and others through the  
6 jargon. Beside the Niagara-  
7 Pickering site there is the  
8 Georgian Bay linear zone,  
9 which extends along the  
10 rather straight coastline of  
11 Georgian Bay and projects  
12 into the western New York  
13 State where it intersects in  
14 a certain Clarendon-Linden  
15 Fault.

16 Anyway, there -- there has been --  
17 there have been earthquakes, 1929, the there was an  
18 earthquake, the Attica earthquake, which was a  
19 magnitude of 5.7, 5.8 in Lake Ontario. There's a  
20 triple intersection involving the Georgian Bay  
21 linear zone, the Niagara-Pickering, the St.  
22 Lawrence fault zone, which extends westward through  
23 the Dundas Valley. And he said there's a lot more.  
24 And he's willing to present and give people more  
25 information.

1                   So that's a discussion and ten  
2 studies. And then in addition to earthquakes and  
3 the geological faults and nuclear plants in Canada,  
4 I also wanted to raise the issue of accidents. And  
5 there was just a major accident in Port Hope area,  
6 a train derailment near Coburg, and lots of  
7 chemicals and oil spilled. Apparently it's taken  
8 days and days to clean up. And what if that was  
9 nuclear stuff being transported? And a lot of this  
10 is on the highways going back and forth all the  
11 time.

12                   Anyway, I wanted to just mention  
13 Chalk River because we have evidence of Chalk River  
14 and the leaking legacy of radioactive material  
15 leaking into the Ottawa River, into Chalk River and  
16 the Ottawa River, and lots of concerns.

17                   Also since the Chernobyl disaster  
18 in 1986 there have been at least 22 major accidents  
19 at nuclear power stations around the world, of  
20 which 15 involved radiation releases, and two of  
21 them came dangerously close meltdowns. So this is  
22 -- this is another issue that I wanted to bring up  
23 because it's of great concern.

24                   And some implications for your  
25 panel is that in the United States -- sorry, in the



1 suspend these hearings pending a public review of  
2 Canada's regulatory approach to nuclear safety in  
3 light of lessons learned from Fukushima. And also  
4 we request that the panel suspend these hearings  
5 pending a public assessment of the cost of nuclear  
6 reactors and the potential alternatives to this  
7 project.

8                   So I wanted to talk a little bit  
9 about primary prevention, and the need for us to  
10 understand ionizing radiation. And my -- my  
11 thoughts in terms of cancer, birth defects, many,  
12 many of the illnesses relating to ionizing  
13 radiation, are of great concern.

14                   I am a former health professional  
15 myself. I have seen many people develop cancer and  
16 die. A very, very dear friend has just been  
17 diagnosed with breast cancer. We see this very,  
18 very often. The rates of cancer are very high.  
19 Almost half of all men in North America are going  
20 to be diagnosed with some form of cancer at some  
21 point in their lives, and close to -- not -- but  
22 not quite a half of women also will be diagnosed,  
23 which is very hard.

24                   We know that for most cancers only  
25 5 to 10 percent are due to inherited genetic

1 mutations. So we have to ask what's causing the  
2 other 90 to 95 percent of people who develop the  
3 disease, what could be the cause, and how can it be  
4 prevented. And how much cancer can be attributed  
5 to radiation?

6                                   The fact that we don't know  
7 exactly what type of reactors we're even talking  
8 about when we're talking about the Darlington new  
9 builds, other than it's going to be a generation 3  
10 design as opposed to the current CANDUs, it  
11 highlights the limitations or one can even say the  
12 absurdity of these hearings, because we don't even  
13 know what kind of a reactor we're talking about.  
14 But these are brand new designs that have not been  
15 used, and undoubtedly the others will all probably  
16 say too that they're -- that they're going to pose  
17 very different, but likely even more serious  
18 problems because they're probably going to use  
19 enriched uranium resulting in more toxic radio-  
20 nuclides and long-live radioactive wastes. And we  
21 understand that because of costs, some of these  
22 safety features may not be as strong and stringent  
23 as they should. Although after the Japan  
24 experience, hopefully things will change.

25                                   I also mentioned in my brief that

1 most of the -- even the health aspects that are  
2 being discussed, don't focus primarily on women,  
3 the developing fetus and young girls' breasts in  
4 puberty. The gender focus has been a missing link  
5 in the general discourse of the health impacts of  
6 ionizing radiation, with the exception of a few  
7 scientists.

8                               So I know that there's some real  
9 concern now by -- from a lot of us now, that the  
10 direction to go ahead is -- it's almost like the  
11 feeling that many of us who are concerned about  
12 this have is don't confuse me with the facts, my  
13 mind is made up. And what we are hoping is that  
14 you, as the panel, will take our concerns about  
15 health and safety very, very seriously because the  
16 mantra now is we're going ahead. The policy is  
17 there. The government has come out with this.  
18 Both the -- both the Liberals and the Conservatives  
19 are hell-bent on nuclear expansion. Green -- the  
20 NDP and the Greens are not.

21                               And what we're looking at -- and  
22 there is some discussion and there has been some  
23 discussion about energy issues. I wanted to talk  
24 more about health, but I also have a background in  
25 the energy issues. And this goes back to the

1 1970's with Ursula Franklin during the Trudeau era,  
2 Canada as a -- Canada as a Conservative Society was  
3 the name of the study and it was chaired by Ursula  
4 Franklin. It was under the Science Council of  
5 Canada. Some of you will remember Trudeau and the  
6 Trudeau era and the Science Council of Canada. And  
7 at that time, we were doing Soft Energy Paths  
8 governed by Amory Lovins, who some of you may have  
9 heard of and know. Amory Lovins was a former  
10 nuclear scientist. He heads the Rocky Mountain  
11 Institute in the United States.

12                               He has recently written a  
13 wonderful paper that I would advise you to read  
14 called Eight Convenient Truths, why we don't need  
15 nuclear power for either climate change issues or  
16 energy electricity issues because it's -- it  
17 doesn't have to be, and there are things happening  
18 all over the world which really to be understood,  
19 and Lovins helped us.

20                               Back in the '70s we were talking  
21 about these issues this way. Soft Energy Paths  
22 meant, how do we look ahead 50 years from now, and  
23 what do we have to do working backwards to put in  
24 place the different energy strategies and policies  
25 that we have to address to get there.

1                   Can you imagine where -- where we  
2 would be now if we did the Soft Energy Paths  
3 looking at, first of all, energy efficiency,  
4 conservation, then renewables, and Amory taught us  
5 about energy efficiency and conservation and showed  
6 us how so much energy is wasted.

7                   And he said to use electricity --  
8 which is what nuclear produces, to use electricity  
9 for the wrong things, like heating homes -- which  
10 they did live better electrically encouraging so  
11 much use and waste. When we don't have efficient  
12 uses of energy, he said, to use electricity, a very  
13 high-grade form of energy, to do a very low-grade  
14 job and bringing it down to do that job like home  
15 heating, space heating, et cetera, he said the  
16 inefficiency is like using a forest fire to fry and  
17 egg or like using a chainsaw to cut butter.

18                   In other words, you're wasting a  
19 lot of that energy. And then the example the --  
20 now, the California Sacramento refrigerator project  
21 where they're giving people who have an old clunker  
22 refrigerator a brand new EnerGuide refrigerator  
23 which uses one-third of the electricity of the old  
24 clunkers, and they're having them pay it back over  
25 time where they will -- because you can do that now

1 with their bills.

2                                 They pay a much higher rate for  
3 their electricity. They pay a true rate; it's  
4 subsidized here. But they're saving the equivalent  
5 of two nuclear reactors in terms of the energy  
6 saved.

7                                 So it's changing the way we think  
8 about how we use energy and how we live in a way  
9 that is much more efficient.

10                                I teach in a building that is so  
11 energy inefficient where the big glass windows get  
12 heated up in the summertime, people forget to close  
13 their blinds. It's an institute of higher  
14 education at the University of Toronto, and the air  
15 conditioning units are right at the window and  
16 they're fighting hard to meet the thermostat.

17                                On the other side of the building  
18 -- because the glass is so hot, that's what they --  
19 the other side of the building, people are  
20 freezing, and I've seen students wearing coats and  
21 I even saw one time an electric heater and it was  
22 boiling on one side of the building and freezing on  
23 the other side.

24                                So it's a whole mismanagement, and  
25 if every building could be retrofitted with those

1 billions that are going into nuclear, then perhaps  
2 we would have a different equation and a different  
3 way of looking at these things.

4 I just wanted to -- I wanted to  
5 point those things out because we have known so  
6 much about these energy for -- these energy issues  
7 for so long that if we don't deal with -- with  
8 managing the electricity better, we'll be  
9 continuing to build for waste, which Sacramento,  
10 California decided they were not going to do when  
11 they said, we don't want more nuclear, here is what  
12 we're going to do, and that refrigerator project  
13 that I mentioned is only one of many strategies  
14 that they're doing.

15 So I just wanted to mentioned  
16 that.

17 CHAIRPERSON GRAHAM: Ms.  
18 Rosenberg, I just want to remind you, you have  
19 about three minutes, so if you could sum up, we'd  
20 appreciate it.

21 MS. GOLDIN-ROSENBERG: Yeah, I  
22 will do that. So we've talked about -- in my brief  
23 you know that I said the *Green Energy and Economy*  
24 *Act* and a lot of other work that's going on in  
25 terms of energy efficiency.

1                   I mentioned -- one of the things  
2 that's really important in terms of the  
3 presentation that we heard from the CNSC, I  
4 mentioned in my brief manipulating public health  
5 research, The Nuclear and Radiation Health  
6 Establishments by Dr. Rudi Nussbaum, and I just  
7 wanted to share with you the opening little  
8 description of this -- this article because it's  
9 really a question of your scientist versus my  
10 scientist.

11                   Some of the statistics that we  
12 heard are very challenged by others. There are  
13 studies that say very different things from what we  
14 heard earlier.

15                   So in this paragraph, it says,  
16 "Industry, government, and the military have  
17 systematically suppressed or manipulated  
18 epidemiologic research showing detrimental effects  
19 on human health from accidental or occupational  
20 exposures to ionizing radiation. This leads to  
21 conflicts of interest and compromised integrity  
22 among scientists in the radiation health fields.  
23 It stifles dissemination of "unwelcome" findings  
24 and endangers public health"

25                   Key words are radiation, health

1 effects, research censorship, conflicts of  
2 interest, scientific whistleblowers, Chernobyl, and  
3 Three Mile Island.

4                                   And amongst some of the reports  
5 and studies that I wanted to just comment on,  
6 radiation and breast cancer, The High Cost of  
7 Living Near Nuclear Reactors by Dr. Gould. And the  
8 Radiation of Public Health Project. A Short  
9 Latency Period Between Radiation Exposure From  
10 Nuclear Plants and Cancer in Young Children by Dr.  
11 Joseph Mangano. International Journal of Health  
12 Sciences. The Nuclear Industry Family Studies.  
13 The British Medical Journal. Leukemia and Non --  
14 excuse me -- Leukemia and Non Hodgkins Lymphoma in  
15 Children of Male Sellafield Radiation Workers. The  
16 International Journal of Cancer.

17                                   So those are studies that are very  
18 different from the ones that we heard about  
19 earlier.

20                                   As I wrote in my brief, we also  
21 need to look at The Environmental and Occupational  
22 Causes of Cancer Review of the recent scientific  
23 literature by a group of scientists from the  
24 Harvard school of -- from the -- sorry, from the  
25 School of Public Health and Environmental Health

1 Initiative at the University of Massachusetts in  
2 Lowell, Massachusetts.

3 They list the various cancers and  
4 chemicals and radiation they're related to, and  
5 the State of Science by Cancer, the relationship of  
6 ionizing radiation to bladder, bone, brain, breast,  
7 colon, leukemia, liver, lung, multiple myeloma,  
8 nasal and nasopharynx, stomach, and thyroid  
9 Cancers.

10 So in closing, I've said a lot of  
11 about BEIR initially. I've said about -- I've  
12 talked about the precautionary principle in my  
13 brief. I talked about the fact that many of our  
14 briefs to the Ontario Drinking Water Advisory  
15 Council recommended going back to the Ontario -- to  
16 the Advisory Council on Environmental Standards  
17 back in 1994 calling for a major reduction of  
18 allowable Tritium and other radionuclides into our  
19 drinking water, going from 100 down to 20 -- down  
20 to 20.

21 And some of us in our briefs and  
22 the Canadian Environmental Law Association also  
23 said that it should go down -- we should have it at  
24 zero. There should be zero discharge of Tritium  
25 and other radionuclides into our drinking water

1 after five years.

2                                   And this is really critical. So I  
3 beseech you as a panel. You're going to be writing  
4 -- you're going to be writing a report after this.  
5 I beseech you to pay attention to some of these  
6 strict standards that should be adhered to in terms  
7 of the Advisory Council on Environmental Standards  
8 Recommendations and the recommendations of a lot of  
9 our groups.

10                                   We rely on science and statistics  
11 from very reputable scientists and radiation  
12 biologists. And I don't know if you have radiation  
13 biologists in all of your fields working on these  
14 issues. Certainly we know of many.

15                                   So I urge you to think very  
16 seriously about the future, about what has to be  
17 done, the standards that have to be changed, and  
18 look at the alternatives to nuclear power in terms  
19 of the energy policies that we should be pursuing  
20 in the future. Thank you very much.

21                                   CHAIRPERSON GRAHAM: Thank you  
22 very much for your presentation. Just one comment.  
23 You mentioned in your comments this afternoon about  
24 saying that the -- the hearing should be postponed.  
25 That was dealt with under -- under motions on the

1 first day, and the panel did make a ruling. And if  
2 -- there were rulings on that by -- there were  
3 motions by certain groups saying that we should  
4 postpone, and we have dealt with that on the first  
5 afternoon.

6 With that, I will go to my  
7 colleagues, and I will go first of all to Madame  
8 Beaudet for questioning.

9 --- QUESTIONS BY THE PANEL:

10 MEMBER BEAUDET: Thank you, Mr.  
11 Chairman. And, yes, I'm a mother and a  
12 grandmother.

13 MS. GOLDIN-ROSENBERG: I thought  
14 you might be.

15 MEMBER BEAUDET: I'd like to refer  
16 in -- in your submission, however there's no page  
17 numbers. You refer to a study of the International  
18 Agency for Research on Cancer, and I was wondering,  
19 I know that the International Agency has produced  
20 several studies, and one of them by the -- the  
21 Radiation Group, I believe, talks about low doses  
22 of radiation linked to small increase in cancer  
23 risk and this was  
24 done -- included workers from Australia, Belgium,  
25 Canada, Finland, France, Hungary, Japan, South

1 Korea, Lithuania, Slovak Republic, Spain, Sweden,  
2 Switzerland, the U.K. and the U.S. Would this  
3 be -- this study it was, I think, tabled in 2005?

4 MS. GOLDIN-ROSENBERG: I wasn't  
5 referring specifically to a specific study. I was  
6 just saying that IARC lists ionizing radiation as  
7 one of the cancer -- one of the carcinogens in  
8 their long list of carcinogens.

9 I'm not sure which study you're  
10 referring to. I'm just talking that I know  
11 generally that this is a carcinogen and a mutagen  
12 in their categorization of carcinogens.

13 MEMBER BEAUDET: I would like to  
14 go to CNSC, and I know yesterday you did mention  
15 that you always tried to be well-informed of  
16 international studies and adjust your future  
17 studies or standards. And your review this  
18 afternoon was mainly with Canadian study and the  
19 KIKK study.

20 And I would like to know what are  
21 the studies also that you base -- you have based  
22 your standards or that you upgrade your standards?

23 Would you refer also to the -- to  
24 this international agency or to the World Health  
25 Organization and to what extent?

1 DR. THOMPSON: Patsy Thompson, for  
2 the record.

3 Yes, the CNSC actively reviews the  
4 scientific literature related to health effects of  
5 radiation and the -- Canada has participated in the  
6 2005 study that you've mentioned from the  
7 international agency on the -- research on cancer.

8 We rely essentially on the open  
9 scientific literature as well as the work of  
10 international committees, such as IARC, the World  
11 Health Organization, the United Nations Scientific  
12 Committee on the Effects of Ionizing Radiation, the  
13 International Commission on Radiological  
14 Protection.

15 The main organizations, as well as  
16 BEIR or the USNRC, the major organizations involved  
17 in either producing research or reviewing research.  
18 We have CNSC staff members actively involved in  
19 these committees.

20 And the CNSC is involved in the  
21 joint research with other regulatory agencies to  
22 support the moving forward and essentially  
23 improving our understanding of the radiation  
24 effects of -- the radiation and cancer and other  
25 health effects.

1                                   MEMBER BEAUDET:  Would the present  
2  Canadian standards for doses to worker and to  
3  workers in the public reflect the findings from  
4  this 2005 studies?

5                                   DR. THOMPSON:  Patsy Thompson, for  
6  the record.

7                                   The 2005 study essentially  
8  indicated that the -- the Canadian cohort in the  
9  IARC study had a higher risk of cancer than what  
10 had been expected from previous studies.  And the  
11 Canadian cohort essentially significantly increased  
12 the overall risk of cancer in the workers, the  
13 various cohorts as part of that international  
14 study.

15                                  And the findings of the IARC study  
16 were surprising and disturbing and, as a result,  
17 the CNSC has since 2005 been involved in trying to  
18 understand the findings and the information from  
19 the Canadian cohort.

20                                  We have undertaken a number of  
21 initiatives including an updating of the Canadian  
22 cohort information as well as a re-analysis and  
23 that work is almost ready to be published.

24                                  But essentially with the re-  
25 analysis we've done, it indicates that Canadian

1 workers are not at a higher risk of developing  
2 cancer than workers in other countries.

3                   And the studies that we are  
4 referring to in the undertaking where the internal  
5 analysis among the other cohorts show that there  
6 was no relationship between radiation exposure and  
7 health effects in workers. It is maintained in the  
8 re-analysis.

9                   MEMBER BEAUDET: Would that be a  
10 CNSC publication or is it in the scientific  
11 journal?

12                   DR. THOMPSON: Patsy Thompson, for  
13 the record.

14                   The work was conducted by an  
15 independent research scientist on behalf of the  
16 CNSC and there will be both a CNSC report on this  
17 as well as a publication in the scientific  
18 literature.

19                   MEMBER BEAUDET: And do we know  
20 the date of publication yet? The month or is it  
21 before we table our report or ---

22                   DR. THOMPSON: Patsy Thompson, for  
23 the record.

24                   The CNSC report is almost  
25 finalized and the paper to be submitted to a

1 journal is also nearly final, but then there is the  
2 process that the journal goes through before it's  
3 accepted, so a date is difficult to provide at this  
4 time.

5 MEMBER BEAUDET: So we would be  
6 kept informed if your publication -- CNSC  
7 publication when it comes out?

8 DR. THOMPSON: Patsy Thompson, for  
9 the record.

10 The process the CNSC uses is that  
11 we post on our website all publications done by the  
12 CNSC or for the CNSC.

13 MEMBER BEAUDET: Thank you.

14 My second question; what is the  
15 basis of CNSC to agree or to propose the lowering  
16 of level of tritium in the drinking water from  
17 7,000 to 100 Becquerels per litre?

18 DR. THOMPSON: Patsy Thompson, for  
19 the record.

20 Just to clarify that the Canadian  
21 Nuclear Safety Commission does not have a mandate  
22 to set either federal or provincial standards for  
23 drinking water or other quality standards to  
24 protect the environment or public health.

25 We do ensure that through the

1 licencing of nuclear facilities that releases to  
2 the environment will not result in exceedences to  
3 standards.

4                                   We made presentations to the  
5 Ontario Drinking Water Advisory Council and we  
6 provided the reports that the CNSC did during our  
7 tritium studies project.

8                                   We indicated to the Ontario  
9 Drinking Water Advisory Council that what was  
10 important to the CNSC is that whatever standard  
11 they recommended to the Ontario Government that the  
12 rationale for the standard be well documented and  
13 transparent.

14                                   We have, through our tritium  
15 studies project, analyzed a lot of information on  
16 releases from nuclear facilities, and it is well  
17 documented that there are no drinking-water supply  
18 plants near Canadian nuclear power plants, such --  
19 the ones in Ontario where drinking water exceeds 20  
20 Becquerels per litre.

21                                   All values are below 18 Becquerels  
22 per litre and so our focus in the tritium studies  
23 project was to make recommendations for groundwater  
24 in the vicinity of nuclear power plants and other  
25 facilities releasing tritium because of the

1 behaviour of tritium in the atmosphere and the our  
2 proposal is for protection in the long-term of  
3 groundwater as a potable water resource.

4 We have made a commitment to do a  
5 formal public consultation on this recommendation  
6 and to accompany the recommendation with a  
7 technical discussion of how it could be implemented  
8 and how it should be used.

9 MEMBER BEAUDET: Thank you.

10 I would like to go to OPG now, and  
11 you did mention that you were trying to lower the  
12 doses, even that -- you don't admit 7,000  
13 Becquerel? I believe you say that it is much lower  
14 than that, but I would like to know how realistic  
15 for you is it to obtain -- to have a goal that  
16 would be zero discharge?

17 MS. SWAMI: Laurie Swami for the  
18 record.

19 We have long considered what zero  
20 discharge would look like, and it would not simply  
21 apply to a nuclear facility.

22 This is something that, as an --  
23 you know, across industries, is something that's  
24 always under consideration and, I would say, is  
25 extremely difficult to achieve in many, many

1 regimes.

2                               What I would look to, though, is  
3 the ALARA principle, is where we aim to reduce  
4 emissions to the extent that we can.

5                               As we've described for the new  
6 nuclear project, we're looking at ways and means of  
7 implementing engineering barriers to prevent  
8 discharges, but I think it -- at this point, there  
9 will continue to be small emissions from our --  
10 from our stations and for new plants.

11                              But we look to what the public  
12 dose impact would be, and as we calculate the  
13 public dose impact, as we've talked about,  
14 Darlington today is 0.7 microsieverts in an -- on  
15 an annual basis.

16                              That would be considered to be De  
17 minimis or of no real significance from a health  
18 concern perspective.

19                              So I think while zero discharge is  
20 obviously -- you know, if there was industrial  
21 development with zero impact, that would be  
22 obviously better.

23                              Unfortunately, you know, there is  
24 small-measured releases, but what we look to is,  
25 are we having an impact, and we measure that

1 through our public dose.

2 MEMBER BEAUDET: Thank you.

3 Thank you, Mr. Chairman.

4 CHAIRPERSON GRAHAM: Thank you,  
5 Madam Beaudet.

6 Mr. Pereira?

7 MEMBER PEREIRA: Thank you, Mr.  
8 Chairman.

9 I was interested to hear about the  
10 work of the Advisory Council on Environmental  
11 Standards in the report they issued in 1994, which  
12 talked about reduction and eventually elimination  
13 of tritium emission from nuclear facilities.

14 From what you understand, what  
15 were the reasons why the recommendations of the  
16 report were not adopted or not given a further  
17 consideration beyond that time?

18 MS. GOLDIN-ROSENBERG: Dorothy  
19 Goldin-Rosenberg.

20 I understand from people who were  
21 directly involved with the government at the time -  
22 - it was the NDP government. It was an economic  
23 crisis in the province at the time, and they were  
24 informed that they would break the budget of the  
25 province if they dared to impose those standards

1 because there'd be a -- there'd have to be a lot of  
2 money put in to tightening up those nuclear  
3 reactors so that they would not be releasing the  
4 tritium on a routine basis that they were.

5                   And also the fact that a lot known  
6 about ionizing radiation says that there's no safe  
7 dose. We knew this even before the BEIR 7 report.

8                   I mean, we've been hearing this  
9 from scientists for many, many years.

10                   And so I won't forgive the NDP  
11 government for not adhering and passing the ASIS  
12 report because it was a very important first step.

13                   It went on -- they went on to use  
14 those findings, though. Ruth Grier, when she was  
15 the Minister of Health in the NDP government,  
16 commissioned a report called the Report on the  
17 Primary Prevention of Cancer.

18                   And tritium and ionizing radiation  
19 was mentioned in that as one of the carcinogens  
20 that had to be addressed.

21                   And we -- our Toronto Cancer  
22 Prevention Coalition really came out of that  
23 particular report. It was a wonderful report on  
24 the prevention of cancer for Ontario.

25                   What I wanted to say, though, is

1 that with that report and many others, there's no  
2 safe dose.

3                               So when we hear about permissible  
4 ALARA, et cetera -- when we're talking about  
5 children, we're talking about the developing fetus;  
6 we're talking about growing children; we're talking  
7 about young girls developing breasts; we're talking  
8 about young boys in puberty as well when they're  
9 sperm is beginning to develop; and there's a whole  
10 lot of relationship to the tiniest amounts of  
11 radiation or chemicals when those cells are rapidly  
12 multiplying that can affect them and cause havoc,  
13 not only to that child, but to future generations.

14                               So we really need to think about  
15 the development of eggs and sperm and little girls  
16 developing breasts, rapidly-multiplying cells.

17                               You can't apply the whole notion  
18 of -- of risk assessment is based on a healthy male  
19 working in a factory, what it will take for him to  
20 get sick.

21                               And then, of course, there's a  
22 latency period.

23                               So we really need to think of our  
24 most vulnerable populations, which are the germ  
25 cells of our future generations.

1                   I -- you have grandchildren. I  
2 have grandchildren. I look at their whole  
3 generation.

4                   We've done a film called Toxic  
5 Trespass. It's a National Film Board co-  
6 production, and it's on children's health and the  
7 environment.

8                   And what's happening to children  
9 is just really obscene.

10                  And I -- when I grew up, we ate  
11 peanut butter all the time. My children had peanut  
12 butter all the time. You cannot take a peanut  
13 butter sandwich into a school today because  
14 children have so many allergies, and they have to  
15 have their EpiPens, et cetera.

16                  So we're seeing a diminishing of  
17 children's health in a very slow, gradual way,  
18 which is really -- has a lot of implications for  
19 the future.

20                  So when we talk about -- there's  
21 no safety in lesser amounts of these radionuclides.  
22 We're talking about the tiniest exposures.

23                  And if that doesn't get addressed,  
24 then we're not really fulfilling our mandate for  
25 health and safety.

1                   The other comment that I wanted to  
2 make was in terms of the World Health Organization  
3 and IARC -- IARC is a World Health Organization.

4                   IRAC is International Agency for  
5 Research on Cancer. It's part of the World Health  
6 Organization collection of different institutions.  
7 They are under the control of the International  
8 Atomic Energy Agency.

9                   And I'm not sure if you're aware  
10 of the fact that the International Atomic Energy  
11 Agency has the right to veto any materials that  
12 come out from any other United Nations organization  
13 before it goes out.

14                   And this has been -- there have  
15 been campaigns to try to break that loop so that  
16 there could be more independence.

17                   But all United Nations agencies,  
18 if they're writing about radiation, has to go --  
19 has to be filtered through the International Atomic  
20 Energy Agency, which has as its mandate to promote  
21 nuclear power, as you may know, as you may have  
22 heard.

23                   So this is -- I wanted to bring  
24 those issues out because I'm hearing things here  
25 that we have heard over the years that just don't

1 make sense when you're talking about children and  
2 vulnerable populations.

3 MEMBER PEREIRA: Thank you.

4 In your presentation and also in  
5 your -- in your submission, you talk about only 5  
6 to 10 percent of inherited cancer -- cancers are  
7 due to inherited genetic mutations, and you wonder  
8 what causes the other 90 to 95 percent and whether  
9 this might be related to radiation.

10 In your experience and in all the  
11 literature you've studied, do you see any evidence  
12 of increasing rates of cancer incidents with the  
13 growth of the nuclear industry? Do you see a clear  
14 relationship there?

15 MS. GOLDIN-ROSENBERG: Dorothy  
16 Goldin-Rosenberg.

17 The overall incidents of cancer --  
18 I mean, the Canadian Cancer Society says that  
19 cancer rates are rising in many cancers, not in  
20 terms of lung cancer so much because of -- smoking  
21 has declined, et cetera, but certainly many other  
22 cancers are increasing -- the incidents is  
23 increasing.

24 Maybe the mortality isn't because  
25 of treatment and so on.

1                   The studies that I've mentioned  
2 are showing a direct link with cancer and not all  
3 cancer in the people who are exposed, but in their  
4 offspring.

5                   These Sellafield studies have been  
6 known for years, and they've been replicated for  
7 years.

8                   The Gardiner study in Great  
9 Britain was replicated. First it was denied, and  
10 then it was replicated and shown to be true.

11                   So we're also talking about the  
12 children of workers who are exposed because we're  
13 talking about damaged eggs and sperm.

14                   So there are studies that show  
15 major changes where people are exposed to ionizing  
16 radiation, major cancers and birth defects. And  
17 I've mentioned a whole lot of other conditions in  
18 my -- in my brief.

19                   So I think that what we have to  
20 talk about is the precautionary principle.

21                   When we do not have 100 percent  
22 proof of all the things that we are concerned  
23 about, we have to take precaution and stop doing  
24 it.

25                   We have enough, what we call,

1 weight of evidence to show that there is enough  
2 damage caused by radiation.

3                   It's the one thing you can see the  
4 proof of. You can see cellular damage in the cells  
5 from radiation. It's not like all the other things  
6 we talk about, pesticides and a whole range of  
7 other chemicals that we know are carcinogens and  
8 hormone disruptors and the neurotoxins and so on.

9                   We know that there are many  
10 exposures, but the one that shows cellular damage  
11 is radiation, and so this is the area that we have  
12 to talk about when we're talking about nuclear  
13 power and the whole nuclear fuel chain.

14                   As I mentioned in my brief, we're  
15 talking about -- you know, from uranium mining, as  
16 the previous speaker talked about -- uranium mining  
17 to refining, I mean, the Port Hope situation, the  
18 high-level nuclear waste that you've heard on --  
19 you know, deputations on and so on and so forth.

20                   The whole nuclear fuel chain is  
21 rife with exposures.

22                   What do we say about the whole  
23 nuclear fuel chain? I'm talking about Tritium in  
24 the drinking water and the impacts on children and  
25 women and vulnerable populations. But, you know,

1 these are issues that you're hearing about from  
2 other people, so I'm hoping that this will make a  
3 real mark for all of you because this is -- this is  
4 really, really critical. This is -- this is a good  
5 time to raise these issues with what's happening.

6 I think there's a -- a  
7 consciousness now because of Japan, that they've  
8 reawakened the whole question of what we should be  
9 doing. And that's why we hope that the government,  
10 whoever, is going to reconsider what they're doing  
11 and look at what the future is for these things.  
12 The billions of dollars going into nuclear stuff  
13 should be going into energy efficiency,  
14 conservation, renewables, et cetera. We know  
15 that's going on all over the world.

16 Germany is a good example of --  
17 it's too bad that Hermann Scheer died, but he was a  
18 real wonderful inspiration in terms of -- he was an  
19 engineer. The whole renewables issues is way ahead  
20 now because of him, but it's a model for the rest  
21 of the world and -- and northern Europe too. I  
22 mean the systems are there if you're talking about  
23 baseload. They are managing baseload without  
24 nuclear power because they don't want it.

25 MEMBER PEREIRA: Thank you. I'll

1 just turn to another subject matter that you  
2 touched on. You referred to geomagnetic  
3 linearments that intersect near the Darlington and  
4 Pickering reactors and the work done or spoken  
5 about by Mr. -- Dr. Wallach, I -- I think is his  
6 title.

7 CNSC, are you familiar with the  
8 work done by Dr. Wallach on seismic hazards in the  
9 vicinity of the generating stations?

10 MR. HOWDEN: Barclay Howden  
11 speaking. Yes, we are. Our folks that work on the  
12 seismic area are quite familiar with it. I think  
13 Mr. -- Mr. Wallach has done -- Dr. Wallach has done  
14 a lot of work in the area.

15 What we have done is we have  
16 worked with the geological survey of Canada, who  
17 has characterized the zone around the Darlington  
18 site. And I think -- I don't believe there's any  
19 issues with the factual info -- information about  
20 the -- the entire sort of geology of the site. I  
21 think that's well documented and I think Dr.  
22 Wallach's brought a lot of information.

23 I think it comes down to the  
24 determination of the risks and this lies with, in  
25 our view, Geological Survey of Canada as the

1 authority in Canada. And previously, last week,  
2 the -- the panel heard from Dr. Lamontagne, who  
3 works for the Geological Survey of Canada. And he  
4 described the -- what the area was like and how  
5 earthquakes occur, but also how they determine the  
6 risk to be able to provide information such that  
7 designers know what kind of peak ground  
8 accelerations they have to design to and, hence,  
9 what kind of safety factors they have to build into  
10 their designs.

11 MEMBER PEREIRA: Thank you. I  
12 just wanted to confirm because this is the second  
13 intervenor that has brought up the issue about  
14 faults. In this case, it's not a fault. It's a  
15 geomagnetic linearment that might be a hazard not  
16 -- that was not considered in the assessment for  
17 Darlington. And from what you say, Mr. Howden,  
18 this is something that has already been considered  
19 in determining the hazard spectrum for Darlington;  
20 is that correct?

21 MR. HOWDEN: That is correct. The  
22 Geological Survey of Canada was very clear on the  
23 -- on the characterization of the zone around the  
24 Darlington station.

25 MEMBER PEREIRA: Thank you. Thank

1 you, Mr. Chairman.

2 CHAIRPERSON GRAHAM: Thank you,  
3 Mr. Pereira and Madame Beaudet. You've covered  
4 some of the questions that I was -- was wondering.  
5 So with that, now we'll go to the floor and I'll go  
6 to OPG. Do you have any questions to the  
7 intervenor?

8 MR. SWEETNAM: Albert Sweetnam for  
9 the record. We have no questions, but would like  
10 to offer two -- two clarifications.

11 CHAIRPERSON GRAHAM: Yes, yes, you  
12 may.

13 MR. SWEETNAM: The intervenor  
14 indicated that the -- the spill at Pickering was --  
15 was measured at 56 becquerels per litre. Actually,  
16 it was measured at 0.56 becquerels per litre.

17 In addition to that, the  
18 intervenor also indicated that there would  
19 potentially be trade-offs between costs and safety  
20 in the design of the new reactors. We would like  
21 to state very clearly that both OPG and the CNSC  
22 would ensure that these reactors are fully designed  
23 to protect the safety of our workers and the  
24 general public.

25 CHAIRPERSON GRAHAM: Thank you for

1 your comments and clarification. We'll now go to  
2 CNSC. Do you have any comments or clarifications  
3 you want to bring forward?

4 DR. THOMPSON: Patsy Thompson for  
5 the record. We have no questions, but if I could,  
6 a clarification as well?

7 CHAIRPERSON GRAHAM: Proceed.

8 DR. THOMPSON: The intervenor made  
9 statements and it's in other interventions as well  
10 that the risk assessments conducted are done for a  
11 healthy male working in -- in an industry. And I  
12 would like to -- to clarify that that is not the  
13 case; that the risk assessments that have been done  
14 for this project and for every other project that  
15 the CNSC has done over many years are done looking  
16 at various age groups and take into consideration  
17 characteristics that are typical of infants, young  
18 children, teenagers, and adults of both sexes.

19 And that the risk factors that are  
20 used to determine the risk of cancer or other  
21 diseases in relation to radiation exposures have  
22 been developed from epidemiological studies that  
23 have covered both sexes and all age groups.

24 This comes from -- usually the  
25 statement comes from past -- dated ICRP practices

1 where there was the -- the biological model to go  
2 from an exposure to -- to a dose was essentially  
3 the representation -- a computer representation and  
4 -- and metamedical, not a representation of the  
5 biology of -- of a male weighing -- with certain  
6 characteristics, height and weight. That model has  
7 long been replaced with better models for -- for  
8 both sexes, as well as for different age groups.

9 CHAIRPERSON GRAHAM: Thank you for  
10 your clarification. Government agencies? Any  
11 government agencies, federal or provincial, that  
12 have questions or statements with regard to this  
13 intervention? If not, we have Mr. Kalevar, who is  
14 an intervenor, and we also have another gentleman  
15 who is registered to -- or asked to ask a question.  
16 He doesn't -- he isn't a registered participant,  
17 but if Mr. Kalevar has one question, then we'll  
18 permit the other -- other person to present a  
19 question also even though it's not within our --  
20 I'm bending the rules, in other words.

21 Mr. Kalevar, your question,  
22 please.

23 --- QUESTIONS BY THE INTERVENORS:

24 MR. KALEVAR: Yes, Chai Kalevar  
25 from Just One World. Professor Rosenberg, you made

1 many statements about how Tritium runs through  
2 water almost everywhere. I'm especially interested  
3 in what it does in the uterus, in the placenta, to  
4 the fetus, and if you can elaborate that?

5                                   And I would like to note here that  
6 Dr. Thompson, when she mentioned in French, she  
7 didn't mention fetuses. I think that is a starting  
8 point for life and I would like to know if she  
9 would like to include fetuses in her study also or  
10 she has missed them?

11                                  CHAIRPERSON GRAHAM: Your question  
12 is to the Chair, I presume?

13                                  MR. KALEVAR: Of course, it's  
14 always through you. I just don't want to --

15                                  CHAIRPERSON GRAHAM: Thank you  
16 very much.

17                                  MR. KALEVAR: -- repeat --

18                                  CHAIRPERSON GRAHAM: I will now go  
19 to -- to the Intervenor Rosenberg to answer the  
20 question, please.

21                                  MS. ROSENBERG: "The developing  
22 fetus -- a significant pathway for human harm from  
23 -- for human harm from elevated Tritium levels is  
24 via female human infants," as Dr. Edwin Radford of  
25 the University of Pittsburgh University testified

1 to the parliamentary select committee of Ontario  
2 Hydro in 1980. He stated:

3 "A female infant is born with  
4 all the eggs and ovas she  
5 will ever produce as a mature  
6 woman. These ova are formed  
7 during a relatively short  
8 period during her time in  
9 utero. If the building  
10 materials in utero available  
11 during that short time are  
12 defective; specifically, if  
13 available hydrogen is  
14 tritiated, an inordinately --  
15 inordinately high percentage  
16 of her ova will incorporate  
17 that defective material.  
18 Since Tritium has a  
19 radioactive half-life of 12  
20 years, the majority of that  
21 would have already undergone  
22 radioactive decay by the time  
23 she would enter her own  
24 reproductive years. That  
25 radioactive decay would

1                   disproportionately disrupt  
2                   her genetic material in her  
3                   ova and her offspring in two  
4                   different ways, by eradiating  
5                   the surrounding genetic  
6                   material with a very well-  
7                   placed beta particle and by  
8                   converting a meaningful  
9                   tritium of hydrogen atom,  
10                  example, in a crucial gene in  
11                  the DNA code into a  
12                  nonsensical helium atom,  
13                  thereby causing damage."

14                  And they go on to say:

15                  "It is well-known that there  
16                  will always be pregnant women  
17                  developing children and young  
18                  girls in puberty which must  
19                  be taken into account."

20                  And it used to be thought that  
21                  only the dose made the poison, but it's now known  
22                  that timing -- the timing of exposures can be just  
23                  as important as the dose, and we know that.

24                  In the discourse of children's  
25                  health and the environment, that the smallest

1 amounts of radiation and/or other chemicals at the  
2 time of these what we call "windows of  
3 vulnerability", can have a major impact on their  
4 present and future life for this reason.

5                               And in terms of risk assessment,  
6 basically, risk assessment is permission to  
7 pollute, but it's to pollute a particular amount.

8                               Does it not call into question  
9 standards of any acceptable levels of radiation  
10 exposures during these extremely critical windows  
11 of rapid cellular growth when there is such a  
12 vulnerability to abhorrent growth.

13                              CHAIRPERSON GRAHAM: Thank you  
14 very much.

15                              Mr. Kalevar, that whole answer was  
16 in Ms. Rosenberg's brief. If you want further  
17 clarification, it's there word for word, and I  
18 suggest that if you're interested further, you read  
19 the brief because -- and Ms. Rosenberg did read  
20 from her intervention.

21                              As I said, we have Mr. Raymond  
22 Leistner, I think I've said that correctly, and  
23 you're -- I'll allow a question, sir.

24                              MR. LEISTNER: I'd like to ask if  
25 the ---

1                   CHAIRPERSON GRAHAM: Microphone on  
2 someone, please.

3                   MR. LEISTNER: I'd like to ask if  
4 any radiation containment vessels are going to be  
5 constructed strong enough to withstand an  
6 intentional military attack which may or may not  
7 occur over the next 50 years, but there's no  
8 guarantee?

9                   CHAIRPERSON GRAHAM: I'll refer  
10 that question to OPG.

11                   (SHORT PAUSE/COURTE PAUSE)

12                   MR. PETERS: John Peters, for the  
13 record.

14                   The containers that we use to  
15 store used fuel at our sites are designed to  
16 international standards, tested according to those  
17 standards and comply fully with all international  
18 standards for safe storage.

19                   As we've indicated in previous  
20 testimony, they're monitored and their safety is  
21 confirmed on an ongoing basis through routine  
22 testing and evaluations. And we do review these  
23 standards and we would comply with whatever  
24 requirements were suggested as appropriate as these  
25 containers age.

1 CHAIRPERSON GRAHAM: Thank you.

2 And, Mr. Leistner, through our in-  
3 camera sessions with regard to security, those  
4 standards are also reviewed so that cannot be  
5 discussed in public, but -- because of terrorists  
6 and so on -- but we do review those also.

7 So with that I'm going to declare  
8 a recess.

9 I want to thank Ms. Rosenberg for  
10 coming today, for giving us her views, and I want  
11 to thank all those who have participated in this.

12 And on behalf of the panel, a safe  
13 trip back and thank you very much for coming.

14 So it is now 2:30 -- or 3:30 I  
15 guess and the chair will resume at 3:45. The clock  
16 says 3:36 so it will be 3:44. Thank you.

17 --- Upon recessing at 15:33 p.m.

18 --- Upon resuming at 15:50 p.m.

19 CHAIRPERSON GRAHAM: Good  
20 afternoon again and welcome back.

21 The next intervenor we have on our  
22 records this afternoon is Mr. Richard Troy and his  
23 presentation is under PMD 11-P1.211.

24 Mr. Troy, welcome. The microphone  
25 is there; the button is there to start. We have



1 -- that we did there with the hydraulic power.  
2 And, you know, one of the things about any -- any  
3 type of energy, is storing excess energy or storing  
4 energy that you'll need later.

5                   And, you know, down at Niagara  
6 Falls there is a -- they have a pond up in the  
7 Height where during the night, they use the -- see,  
8 you know, the whole system is in generation.

9                   As you know there's a prime mover,  
10 there's a motor and there's a pump. Well, so  
11 during the night when they had no need for a lot of  
12 the energy, they pump -- they turn the -- they use  
13 the pump to pump water up to the Height and then --  
14 but during the times of peak energy, you know, five  
15 o'clock in the afternoon, then they reverse this  
16 thing and they -- and the motor -- the generator  
17 which was once a generator now becomes a motor and  
18 it drives -- it is used in the opposite direction  
19 so that they could store -- use energy when it's  
20 needed.

21                   After working with hydraulic  
22 power, I then worked with the -- basically in what  
23 you may call the nuclear industry, and I worked for  
24 a company called the Byron Jackson Division of  
25 Borg-Warner Canada. And we made all of the pumps

1 for all the Canadian nuclear stations and also for  
2 Romania, you know, Lapreau, India and Pakistan and  
3 all the major ones that we know of from the CANDU  
4 system.

5 I was fascinated by the work there  
6 and it was -- and I believed it was very, very  
7 safe. We had an inspector from hydro -- Ontario  
8 Hydro on the site and we just -- I don't know if  
9 anybody's ever -- I guess you know something about  
10 the hardware of the CANDU system.

11 The pumps that we built were --  
12 the whole -- it was a 10,000 horsepower vertical  
13 motor built by Canadian General Electric on top of  
14 our pump. And it was 42 feet in the air so they  
15 were huge, huge pumps. And the casing of the pump  
16 was made of stainless steel that came in from  
17 Sweden and the amount of inspection and repairs  
18 that went on, you know. Everything was  
19 radiographed; liquid penetrant, so many different  
20 ways that they would chip out every bit and -- so  
21 then it was -- we built very, very safe pumps and I  
22 don't think that I ever heard of any of the pumps  
23 themselves having problems. Well, of course, like  
24 technology you build -- you can build good  
25 equipment, but then you have to -- then it's put in

1 the hands of operators, and that's sometimes where  
2 problems may arise.

3 I guess I -- until recently I  
4 guess I was a proponent of nuclear energy because I  
5 knew how safe and efficient the AECL -- the heavy  
6 water systems that we used were.

7 And then gradually when a friend  
8 was -- talked about this panel, then I started to  
9 think more about it and some of the reservations I  
10 had, and along came the problems in Japan.

11 Always one of the problems that I  
12 had with the nuclear energy was it was so capital  
13 intensive. The -- all the companies that were  
14 involved in the nuclear industry they did nothing  
15 on the -- they did nothing on the cheap. We -- it  
16 was a very profitable business, and they carried on  
17 until I think it was about 1982, when they -- when  
18 the hydrocarbon industries and the nuclear industry  
19 sort of had a downturn, and so the Byron Jackson,  
20 they moved back to California. And we were laid  
21 off.

22 One of the personal things  
23 that really disturbed me was that in that year  
24 Forbes Magazine puts out an annual review of  
25 salaries of CEOs. And the top two were Toys 'R Us

1 and Federal Express. And the number three was a --  
2 was the vice president of Byron Jackson. He made 5  
3 -- \$25 million that year, which is nothing compared  
4 with what some of the guys make these days.

5                   But then after I retired, my  
6 pension -- I worked for 13 years, but they said,  
7 oh, well, it wasn't -- it was not regulated or  
8 certified or something until you worked there for 3  
9 years, so -- but I now get a pension of \$189 a  
10 month. That's what I get from the -- that's what's  
11 left over, the nuclear waste that that I get.

12                   Fortunately, I'm still working --  
13 I'm still working as an engineer, importing  
14 equipment for pipes and couplings and that, and our  
15 system in Canada of the Old Age Pension, I know you  
16 don't believe it, but I am over 65. But the Old  
17 Age Pension and the Canada Pension Plan sort of  
18 pays for the rent and the rest I have to work --  
19 still work for.

20                   So the fact that it's so capital  
21 intensive, and now that they're talking that, you  
22 know, \$36 billion that it may cost the Darlington.

23                   But, you know, any government --  
24 my father was a politician, but not -- he was a  
25 politician just because they -- the party needed

1 somebody they knew would win. And so I have a  
2 great respect for politicians, but they have to --  
3 you know, you go -- you know, you don't go in with  
4 a low number -- at least you go in with the lowest  
5 number possible, so 36 billion. I imagine during  
6 the hearings that people have mentioned what  
7 Pickering started, how much it started at, and what  
8 it ended up.

9                                   And, incidentally, just mentioning  
10 Pickering. Pickering Nuclear Generating Station at  
11 one point, when I was there, was the most efficient  
12 nuclear generation station in the world, they were  
13 a fantastic product and system that they developed.  
14 It's not quite that good now.

15                                   So I appreciate this review and  
16 you have a tremendous task. You've got to weigh  
17 the facts, but then you've also got to weigh the  
18 opinions, and seeing that we are a democratic  
19 country, you've got to weigh the opinions of a  
20 general -- of the general public, of engineers, of  
21 health professions, of all sorts of people, and  
22 that's -- you weigh those facts.

23                                   But then you also have to weigh  
24 the opinions of the general public because you  
25 know, like a budget, you are writing a moral

1 report. You've got -- it's, you know, ethics is  
2 involved in what you do, just like ethics is  
3 involved in the -- in any budget as many people  
4 must realize.

5                               So the facts I -- the facts are  
6 handled, well, much in a -- in a better fashion  
7 than I can as regards -- radiation and human  
8 effects; the whole system of the nuclear industry.

9                               But what I would like to just  
10 concentrate on is the -- what the average person on  
11 the street, what they think of nuclear energy and  
12 what the -- what the media talk about nuclear  
13 energy, and what the proponents or the protesters  
14 or the people who have reservations about nuclear  
15 energy.

16                              Now, Dr. Helen Caldicott, I've  
17 seen her on the TV and I've read her -- part of her  
18 submission. I mean, she was fantastic, and how  
19 anybody could be -- not be swayed by what she said.

20                              In fact, as a bit of an  
21 entrepreneur, I've been thinking of searching the  
22 internet to see if I could -- she mentioned about  
23 plutonium in male testicles. I've been wondering  
24 if there's any lead-lined jockey shorts around.

25                              So the -- but the -- just picking

1 and choosing different comments that the OPG talked  
2 about. The project poses no credible risk. So,  
3 you know, it's -- reports at life is a matter of  
4 language and a matter of words.

5                   When you talk about, you know,  
6 risks, you know, as -- what was his first name,  
7 MacMillan of Britain, was once the prime minister  
8 of Britain, said that life is -- we cannot live  
9 life without risks.

10                   And we know that, for example,  
11 driving a vehicle. You can have a fantastic  
12 vehicle, a Mercedes Benz or the best BMW, whatever,  
13 but so much depends on the -- on the human person,  
14 and in the industry, on the operators, on the --  
15 and so it's not just a matter of technology, it's a  
16 matter of human operation and that. But those were  
17 some of the risks -- risks arrive.

18                   There was an editorial in the  
19 Toronto Star, and they mentioned, they said, yes,  
20 nuclear power is safe as long as nothing goes  
21 wrong. Well, you know, that's what happened in  
22 Japan, with so many nuclear reactors. And then the  
23 tsunami and the earthquake and they -- where they  
24 decided to build the plant, now we hear it should  
25 have been higher up. Even at the very first Mark,

1 the Mark I water reactors that were built by GE in  
2 the United States, they had whistleblowers in those  
3 days and three of the engineers quit because they  
4 said this Mark -- this version of the -- of our  
5 reactors is just unsafe. Well, those are the  
6 reactors that were in -- that have gone awry in  
7 Japan.

8                   Now, there's -- you read in the  
9 paper now, there's many different people who often  
10 say as I was once a nuclear proponent and now I'm -  
11 - I would call myself a nuclear opponent or  
12 certainly a very sceptic. But the -- one of the --  
13 in one of the newspapers, the Toronto Sun, said  
14 that nuclear is the answer. Following what didn't  
15 happen, it no longer needs to be questioned or  
16 demonized. So in other words, the opponents also  
17 are calling the nuclear industry a satanic or a  
18 demon, but -- but several -- several people, George  
19 Monibot and even Gwynn Dyer have changed their --  
20 their tune about the -- about the safety and they  
21 -- but they -- but some of the -- the reasons that  
22 these people change their mind is because, well,  
23 you know, it could have been worse.

24                   And -- and there was one fellow  
25 from the University of Maryland wrote in the paper

1 that wind, solar, and other alternatives hold great  
2 promise, but nuclear still offers the safest large-  
3 scale options around. The problem is the loss of  
4 life associated with nuclear failures gets  
5 concentrated.

6                               So, you know, it's -- it's drive  
7 -- it's fantastic to drive a car, drive it fast as  
8 long as you go off the highway and -- and you don't  
9 even wear your seatbelt and you -- and you get  
10 killed, but -- so -- oh, I should have mentioned  
11 earlier because I -- though -- that I -- I'm a  
12 member of certain groups.

13                              They -- I'm not an official member,  
14 but just that I'm a member of an international  
15 group called Pax Christi. I'm also a member of  
16 KIROs and also the Coalition to Stop the War.

17                              They -- there's some talk that --  
18 that they -- the cost of the nuclear -- of the  
19 Darlington station will be, say, \$36 billion.  
20 There was a time when -- when people were saying  
21 now is the time -- we should have childcare and --  
22 for children in Ontario by the -- and in Canada,  
23 particular in Canada with the federal government.  
24 But the story always was, well, we just don't have  
25 the money. It's very good, but we just don't have

1 the money.

2                                 But then with the -- with the  
3 financial fiasco in the United States and in  
4 Canada, funny enough, the money was -- was quickly  
5 found. So it's -- again, it's a matter of  
6 morality, of ethics, where you -- where are you  
7 going to spend your money.

8                                 Are you going to spend the money  
9 on -- on capital projects which create a lot of  
10 profit for -- for companies, corporations, for  
11 individuals, or are you going to spend it on more  
12 -- small -- other products that benefit more  
13 people.

14                                For instance, Canada should be in  
15 the forefront of wind turbines because we have the  
16 -- we have the steel companies. Goldman's Steel  
17 made all the -- the pipe for the TransCanada  
18 Pipeline, and -- and Stelco, which has been bought  
19 and sold to the US Steel and then shut down, we  
20 have the steel industry which could make the  
21 towers.

22                                We have the composite and plastic  
23 and companies that can make the blades for the --  
24 we have the manufacturing plants that could make  
25 the -- the generators, and it would provide a lot

1 of -- of work in the construction but also in  
2 maintenance of the -- and operation of the wind --  
3 the wind turbines.

4 I've been to Alberta doing  
5 projects out there, and -- and on the top of the  
6 hill, you'd just see the -- the wind -- the wind  
7 turbines just, you know, scattered all over.

8 I was down at Amherstburg in -- in  
9 southwestern Ontario, and there are a lot of wind  
10 turbines down there, and then there's the odd sign  
11 on somebody's front lawn, you know, no -- no wind  
12 turbines in the lake.

13 I think one thing that the -- that  
14 the opponents of -- of nuclear industry have to  
15 realize is that -- that it -- being a free -- being  
16 a free society, people can come up with whatever  
17 they say, and the people that -- who are against  
18 wind turbines, they say, well, the noise is bad,  
19 the vibrations are bad, and -- but I think we have  
20 to, as you're doing, trying to get the facts, to  
21 analyze -- to analyze the facts and come up with  
22 some positive data that can -- how we can go  
23 forward with our -- with our power generation in --  
24 in Ontario.

25 I think I've more or less skipped

1 over most of the things I -- I wanted to say. Yes,  
2 so, good.

3 Well, one last thing. That, you  
4 know, it's strange that -- that all of the -- the  
5 alternative sources of energy all come from nature.  
6 They're all free. There's -- you know, you got the  
7 sun. I mean, without the sun, where would we be?  
8 The sun, the wind, the water, the fact of gravity,  
9 you know that water flowing from up here goes down  
10 there, and we turn that into -- into energy. Even  
11 the rising tides, they're talking about putting the  
12 generation plants on the Bay of Fundy because it's  
13 the world's highest tides.

14 Or there's even talks of whale --  
15 of wave -- of wave generation, and I was down on  
16 College Street in Toronto. I was going by this  
17 building and I saw an old, like, truck with a  
18 drilling rig on the back, and being very curious, I  
19 went and asked the guy, oh, oh, what are you  
20 drilling there for?

21 Oh, we're drilling -- we're  
22 drilling down. We're going for some geothermal in  
23 this building.

24 So, you know, then you don't have  
25 to -- you know, you talk of geothermal, and maybe

1 you think of -- of the hot pools in Yellowstone  
2 Park or in Iceland, but just very -- below the  
3 surface, there's the heat which can be -- and you  
4 only need a small -- small increment of temperature  
5 variation that you can use for your -- for either  
6 heating or cooling.

7                               So with that, I'll -- I'll end,  
8 and thank you -- thank you very much.

9                               CHAIRPERSON GRAHAM: Thank you  
10 very much, Mr. Troy, for your presentation. I'll  
11 go to questions from panel members, and, Madame  
12 Beaudet, do you have any questions?

13 --- QUESTIONS BY THE PANEL:

14                               MEMBER BEAUDET: Thank you, Mr.  
15 Chairman. You have had a lot of suggestion in your  
16 presentation and your written submission about  
17 green energy and renewable. We had last week the  
18 Deputy Minister from the Ministry of Ontario, and  
19 we talked a little bit about the constraints of  
20 going to green energy rapidly, and they -- he did  
21 present some technical constraint and cost also  
22 constraints which he felt was probably the biggest  
23 challenge for them.

24                               I'd like to hear -- you're an  
25 engineer and you've put some reflection into your

1 presentation. How do you see these constraints? I  
2 mean, you can have geothermal, but then it's mainly  
3 for new buildings. You can have wind power, but as  
4 far as I have seen wind power development, there's  
5 a lot of opposition also to wind power. So I'd  
6 like to hear you a little bit more -- you know,  
7 wind power is always -- not in my backyard very  
8 much -- more and more now.

9                               So I'd like to hear more about  
10 this from you, please.

11                              MR. TROY: Okay. Richard Troy.  
12 Thanks.

13                              That's -- thank you very much for  
14 that.

15                              I'm on the web a lot. And just --  
16 just yesterday in a -- in a magazine, they  
17 mentioned that in -- in Quebec, which is -- has an  
18 abundance of hydraulic power, they've got only one  
19 -- one nuclear plant.

20                              And we didn't build the pumps for  
21 that plant. They were built Germany by KSB.

22                              But in Quebec, they're -- they --  
23 TransAlta, which is a large corporation in Calgary,  
24 is going to build a 66-megawatt plant in New  
25 Richmond in the Gaspé area for \$205 million.

1                   There's also other plants in  
2 Quebec with -- so there's one where -- 99  
3 megawatts.

4                   So they're quite reasonable to  
5 build and quite -- you can build them a lot quicker  
6 than they can with a nuclear station.

7                   Also, I get on the EPA, on the  
8 internet, and they, the United States, talked about  
9 getting -- having loans for -- for developing --  
10 for fostering alternative energy. But they found  
11 that cash grants were the best.

12                   And they -- up until -- until they  
13 -- the financial problems there, they had already -  
14 - they'd thousands of megawatts of -- 13,500  
15 megawatts of new projects were being built in --  
16 before -- in 2008.

17                   And there's -- they just mentioned  
18 several projects here in Indiana, in Texas, in  
19 Washington, all in the 200 million range, so that -  
20 - that's -- it's very quick.

21                   And compared to the 20 -- \$36  
22 billion which will double to 72 billion or  
23 something, they're very economical to construct.

24                   MEMBER BEAUDET: Thank you, Mr.  
25 Chairman. Thank you.

1 CHAIRPERSON GRAHAM: Mr. Pereira?

2 MEMBER PEREIRA: Thank you, Mr.  
3 Chairman.

4 Thank you for your reflections on  
5 the options for energy generation -- power  
6 generation.

7 And I guess your main concern with  
8 nuclear that you raise is the capital cost and the  
9 time to build.

10 Is that primarily your concern?

11 MR. TROY: That was the trigger  
12 that decided -- you know, it's only about, you  
13 know, a few weeks ago that I -- I entered my name  
14 to come here.

15 That was the -- one of the  
16 triggers, but -- but, really, if I -- when I --  
17 when I reflect and think about it and do any -- a  
18 little bit of research, which is -- you know,  
19 there's so much -- there's so much valuable  
20 research done by the -- particularly by the Pembina  
21 Institute and Greenpeace that cover -- cover all  
22 this.

23 But when I did the -- the more  
24 research -- and then I also -- and I reflect on the  
25 -- on the problems, that -- that, you know,

1 confirmed my -- my opposition to -- to nuclear  
2 power.

3                                   And my interest in -- that we  
4 should be spending the money, the brainpower --  
5 we've got fantastic brainpower in Ontario Hydro and  
6 in AECL that we should be spending it on -- on  
7 other sizes of alternative energy.

8                                   And so that's what really  
9 solidified me as an -- as an opponent of nuclear  
10 energy.

11                                   MEMBER PEREIRA: Thank you very  
12 much. Thank you.

13                                   CHAIRPERSON GRAHAM: Thank you,  
14 Mr. Pereira.

15                                   Now, we'll go to -- from the  
16 floor.

17                                   OPG, do you have any questions for  
18 Mr. Troy?

19                                   MR. SWEETNAM: Albert Sweetnam for  
20 the record.

21                                   No questions.

22                                   But we have a small comment, if  
23 you will allow.

24                                   The intervenor has indicated  
25 several times that new nuclear would cost \$36

1 billion.

2                               In Ontario's long-term energy  
3 plan, it's clearly stated there that the cost --  
4 the expected cost of the refurbishment of ten  
5 reactors -- that's six reactors at Bruce and four  
6 at Darlington plus the two new reactors at  
7 Darlington -- are estimated to cost \$33 billion.

8                               CHAIRPERSON GRAHAM: Thank you for  
9 that clarification.

10                              CNSC, do you have any questions to  
11 Mr. Troy?

12                              DR. THOMPSON: Patsy Thompson.

13                              No questions. Thank you.

14                              CHAIRPERSON GRAHAM: Government  
15 departments -- government departments -- are there  
16 any government departments?

17                              No, I don't see any.

18                              Mr. Troy is indicating he wants to  
19 say something.

20                              And then I'm going to go -- I have  
21 one intervenor registered, and we'll go to that  
22 intervenor just after Mr. Troy.

23                              MR. TROY: So can you -- you know,  
24 this is -- you say it'd be 33 billion -- 33  
25 billion, not 36 billion.

1                   I wish -- I wish that -- I know  
2 you don't have that kind of money, but I wish that  
3 somebody would say, this is it. This is the top.

4                   Like, in industry, you bid on a  
5 job, and that's what it -- that's -- that's your  
6 bid, and you have to stick -- stick by that.

7                   But then, I mean, you're saying  
8 that these -- these dollars that I have here, these  
9 \$36 billion, are longer -- are no longer -- are  
10 good.

11                   That -- I mean, the whole nuclear  
12 industry, the -- the nuclear industry would not --  
13 would not even get started if they didn't have  
14 certain provisions.

15                   The one major provision is that  
16 they don't have a full liability. They have to  
17 tack -- they have to put a limit on their -- on  
18 their liability because, I mean, I think it's  
19 raised -- I forget what it was before.

20                   But I know that -- that that has  
21 to be -- no other -- no other industry, no other  
22 insurance company, is subject to that -- that sort  
23 of thing.

24                   But nobody would invest in or  
25 build nuclear plants if it was -- if they were

1 liable to the full cost of -- of problems with --  
2 with nuclear -- nuclear power.

3 CHAIRPERSON GRAHAM: Thank you  
4 very much, Mr. Troy, for your intervention.

5 Madam Frances Deverell, I believe  
6 you have registered, so the floor is yours, Madam  
7 Deverell.

8 --- QUESTIONS BY THE INTERVENORS:

9 MS. DEVERELL: Thank you very much  
10 for allowing me to ask a question, Mr. Chair.

11 I just wanted to ask Mr. Troy, do  
12 I understand correctly that you believe that the  
13 panel should take the employment factor into  
14 account?

15 In nuclear power, you say that  
16 it's very capital intensive and that there will be  
17 much more benefit to the working class and to many  
18 -- a much greater range of people if we choose  
19 another option and that they should take that as an  
20 important factor into account; is that your main --  
21 one of your main points?

22 MR. TROY: Richard Troy.

23 Thank you very much for that  
24 question because that's exactly what I -- what I  
25 consider.

1                   And I -- I really appreciate the  
2 work that this panel is doing.

3                   But you have -- and what you have  
4 to -- it's a -- it's a task. It's a herculean task  
5 to take all these things into account that -- how  
6 it affects the -- the health, the welfare, the --  
7 the -- of, you know, the whole -- the whole -- and  
8 the labour, the -- the whole gambit of -- of  
9 Canadian society, you know.

10                   And this is a -- is an ethical  
11 moral task. It's not just an engineering task.  
12 It's not just a need that we need -- need power.

13                   But where are we going to get the  
14 power is a -- is a -- is a moral task that you are  
15 -- that you've agreed to, and you're committed to.

16                   And I'm sure that you will take  
17 all those things into consideration.

18                   CHAIRPERSON GRAHAM: Thank you.

19                   And with that, we have the next  
20 presenter coming up.

21                   I want to, first of all, thank  
22 you, Mr. Troy, for coming today and expressing your  
23 views and providing the information you did in your  
24 intervention to the panel, and a safe trip back.

25                   Our next intervention is from the

1 Canadian Unitarians for Social Justice, which is  
2 covered under PMD 11-P1.203. And I think Ms. Rao  
3 is the presenter, and the floor is yours, Ma'am.

4 --- PRESENTATION BY MS. RAO:

5 MS. RAO: Good afternoon  
6 distinguished panel members. My name is Margaret  
7 Rao and I am a board member of Canadian Unitarians  
8 for Social Justice. With me today is the Reverend  
9 Frances Deverell, President of Canadian Unitarians  
10 for Social Justice.

11 CUSJ is a national faith-based  
12 organization founded to actively promote Unitarian  
13 values in society at large, including respect for  
14 the interdependent web of life.

15 We believe actions taken regarding  
16 increasing nuclear power at Darlington will have  
17 wide ramifications across Ontario, Canada, the  
18 United States and around the world. We wish to  
19 share our concerns about the economic,  
20 environmental and military impacts of nuclear power  
21 and the overall risk to the wellbeing of our  
22 planet, both today and for future generations.

23 The majority of our board believes  
24 that Ontario and other provinces should not proceed  
25 with the expansion of nuclear power until there is

1 a full assessment of all the energy options.

2                                 Based on that assessment, we need  
3 to coordinate provincial and national energy  
4 strategies, including plans to realize real gains  
5 in energy conservation. This is the most cost-  
6 effective approach.

7                                 Plans to phase out both carbon-  
8 based fuels and nuclear reactors, while phasing in  
9 renewable options; develop a vision for a mix of  
10 many power sources from many locations, including  
11 made- in-Ontario green power; water power imports  
12 from Quebec; natural gas-fired combined heat and  
13 power plants, to name a few.

14                                 Provide the same kinds of  
15 subsidies and incentives to a range of renewable  
16 energy sources that are now provided to oil and gas  
17 and nuclear power. Develop plans to educate and  
18 involve the public on a new energy strategy for the  
19 21<sup>st</sup> century.

20                                 The nuclear industry has certain  
21 well-known problems. Construction projects have a  
22 history of design problems, cost overruns, and high  
23 maintenance costs that result in large public debt.  
24 In Ontario we are still paying 1.8 billion a year  
25 in debt retirement for past cost overruns.

1                   Because of the high risk, nuclear  
2 plants are insurable to a large degree by the  
3 public purse. In effect, insurance costs are a  
4 government liability and therefore a subsidy for  
5 the nuclear industry. If there is a major  
6 disaster, the public will pay for it.

7                   We are told over and over by the  
8 nuclear industry and government that nuclear power  
9 is safe. It is simply not possible to take this  
10 position. Nobody predicted a 9.0 level earthquake  
11 in Japan. The crisis is far from over, even as we  
12 speak.

13                   With climate change we can  
14 anticipate more frequent and unpredictable weather  
15 patterns, including severe storms such as ice  
16 storms, and severe heat waves such as the heat wave  
17 of 2003 in France where operations at 17 reactors  
18 had to be scaled back or stopped.

19                   There is also the question of  
20 technical malfunctions. Seven Ontario nuclear  
21 reactors were shut down in 1998 as a result of  
22 safety concerns, demonstrating that this province  
23 is far from impervious to a nuclear accident.

24                   Also human error. According to  
25 Mark Clayton in the Christian Science Monitor,

1 March 18<sup>th</sup>, 2011, there were 14 near misses due to  
2 slow responses in safety upgrades and poor  
3 regulatory monitoring in the United States in 2010.  
4 It was just such slack safety and maintenance  
5 practices that caused the Chernobyl disaster and  
6 the Gulf Oil Spill in 2010.

7                   The question of cost also arises.  
8 The cost of decommissioning a single reactor after  
9 its useful operating life exceeds \$2 billion.  
10 There is no demonstrated safe way of disposing of  
11 the nuclear waste of spent fuel or managing it  
12 securely for the necessary time period, possibly  
13 hundreds of thousands of years. This represents  
14 both an enormous cost and an enormous hazard.

15                   Also uranium enrichment of used  
16 fuel leads to weapons-grade plutonium for nuclear  
17 weapons. The more nuclear power plants there are,  
18 the greater the risk of nuclear weapons and  
19 possibly war. Nuclear power plants and spent fuel  
20 storage areas are obvious targets for terrorist  
21 attacks. Spent fuel depositories are especially  
22 vulnerable to attacks.

23                   The Darlington plants are located  
24 in the heart of a huge population area on the edge  
25 of the Great Lakes, source of drinking water for

1 millions of people. Its connection with the waters  
2 that feed the St. Lawrence means that the impact of  
3 a catastrophic event could easily extend to the  
4 United States, Quebec and beyond.

5                               In their day-to-day operations,  
6 nuclear power stations emit tritium and other  
7 radioactive materials into the environment.

8                               According to Dr. Gordon Edwards,  
9 of the Canadian Coalition for Nuclear  
10 Responsibility:

11                                       "Tritium poses an ever-  
12                                       present radiological hazard  
13                                       to CANDU workers. It is also  
14                                       an environmental contaminant  
15                                       which pollutes the drinking  
16                                       water of many communities  
17                                       situated near CANDU reactors.  
18                                       In addition, atmospheric  
19                                       emissions of tritium are  
20                                       readily inhaled and absorbed  
21                                       directly through the skin by  
22                                       residents living near CANDU  
23                                       reactors."

24                                       End of quote. There is  
25 increasingly strong evidence linking these



1 "Nuclear power stations of  
2 the future will have to rely  
3 on second-grade ore which  
4 requires huge amounts of  
5 conventional energy to refine  
6 it. For each ton of poor  
7 quality uranium, some 5,000  
8 tons of granite will have to  
9 be mined, milled and disposed  
10 of. This could rise to  
11 10,000 tons if the quality  
12 deteriorates further."

13 According to energy writer David  
14 Fleming in Prospect Magazine, "I'm a subject of  
15 rich ore depletion".

16 As the need to exploit lower grade  
17 ores grows, it would be putting more energy into  
18 the process than it could extract from it. Its  
19 contribution to meeting the world's energy needs  
20 would become negative. The so-called reliability  
21 of nuclear power would therefore rest on the  
22 growing use of fossil fuels rather than their  
23 replacement.

24 Nuclear power simply not  
25 economically nor environmentally sustainable. When

1 you include the cost of overruns, maintenance,  
2 precautionary security measures, regular  
3 inspections and the cost of dealing with  
4 decommissioning and waste management, it is not to  
5 our minds an acceptable investment of public funds.

6                   We live in a time of major change.  
7 We have built our energy security on huge  
8 centralized mega projects. What we need from our  
9 leadership including the Joint Review Panel, is a  
10 commitment to moving us forward into a sustainable  
11 energy future. We must take into account the  
12 precautionary principle, that is, if there is doubt  
13 about the safety of an approach and the  
14 consequences of an accident could be disastrous, we  
15 must err on the side of caution and prevention. In  
16 this regard, we consider it unwise to commit to the  
17 ongoing production of nuclear waste when there is  
18 no known way to detoxify it or store it with any  
19 degree of safety.

20                   Even though nuclear power has been  
21 operational for over 50 years, the nuclear industry  
22 has yet to determine how to safely dispose of  
23 extremely toxic radioactive materials. Moreover,  
24 what Canadian town would agree to store highly  
25 radioactive waste on their land, no matter the

1 assurances given to safe storage. According to the  
2 Canadian Federal Environmental Assessment Panel,  
3 Seaborn report released in March, 1998, after an  
4 eight-year intensive public process, the AECL  
5 concept in its current form for deep geological  
6 disposal does not have broad public support and  
7 does not have the required level of acceptability  
8 to be adopted as Canada's approach for managing  
9 nuclear wastes.

10 OPG has not evaluated or costed  
11 the long-term expenses of managing the more toxic  
12 and longer-lived radioactive wastes produced by  
13 Generation III reactors. It has also not evaluated  
14 the risks involved to the communities along  
15 transportation routes and to the workers handling  
16 the waste. This lack of evaluation does not meet  
17 the standards of the precautionary principle. It  
18 does not achieve a vision of sustainable energy for  
19 the 21<sup>st</sup> century.

20 In addition to waste disposal  
21 problems, we also have the radiation problem of  
22 tailing mines at mining sites. There are currently  
23 over 200 million tons of uranium tailing in Ontario  
24 and Saskatchewan. This waste remains a hazard for  
25 thousands of years and contains carcinogens such as

1 radium, radon gas and thorium among others. We  
2 learned at Charleboix Lake for instance that the  
3 ore at that site would be much lower grade and  
4 create a much bigger problem of radioactive  
5 tailings than first anticipated.

6                   We also cannot ignore the threat  
7 that nuclear waste poses in terms of providing fuel  
8 for nuclear and conventional weapons. Low grade  
9 spent fuel is already being used in dirty cluster  
10 bombs. For true safety and security we need to  
11 eliminate the nuclear threat not increase it by  
12 producing this dangerous by-product. More nuclear  
13 reactors can lead directly to greater nuclear  
14 weapons proliferation. In her book, *Nuclear Power  
15 is Not the Answer*. Dr. Helen Caldicott reminds us  
16 that Canada supplied India with a cirrus heavy  
17 water reactor for making nuclear energy. It was  
18 this reactor that gave India the plutonium it used  
19 in its first 1974 nuclear weapons test.

20                   One negative consequence often  
21 leads to another. A decade ago few would have  
22 expected North Korea to have developed atomic  
23 weapons. What will a nuclear armed world look like  
24 a decade from now? All of these real-- risks and  
25 problems can be eliminated if we choose to phase

1 out nuclear power. We are also very concerned that  
2 a huge investment in nuclear energy will preclude  
3 the possibility of a serious investment in more  
4 sustainable energy options. We can't afford both.  
5 It is an urgent priority for Ontario to invest in  
6 constructing and maintaining more energy and cost-  
7 efficient alternatives to both coal and nuclear  
8 power. The province needs to set up a financial  
9 incentive system that will encourage the initiative  
10 and creativity of Ontarians to develop and  
11 implement a greater range of energy projects, such  
12 as the Ontario Fit Program. People want to do the  
13 right thing, given the proper incentives.

14                               We need conservation products that  
15 reduce the overall demand for power. Ontario is  
16 one of the most wasteful users of electricity in  
17 the world as was noted by Jack Gibbons, chair of  
18 the Ontario Clean Air Alliance. Ontarians can  
19 build a virtual nuclear power plant by eliminating  
20 wasteful energy use at less than one-fifth the cost  
21 of a real one.

22                               Other energy projects being  
23 implemented successfully worldwide include the  
24 familiar ones of wind, water and solar, also  
25 biomass projects, geothermal, cogeneration which we

1 have in Brampton, heat pumps, tidal waves, the list  
2 goes on. Note: A recently released study, January  
3 27, 2011, by Mark Jacobson and Mark Delucchi of  
4 Stanford University, which concluded that the  
5 world could be electrically powered by alternative  
6 energy from wind, water and sunlight within 20 to  
7 40 years.

8                   A renewable energy strategy for  
9 Ontario is both possible and realistic. The UN  
10 Environment Program and the International Energy  
11 Agency backed renewable energy policy network for  
12 the 21<sup>st</sup> century, REN21 Project, declared that for  
13 the second year in a row the quantity of newly  
14 installed capacity of renewable energy in Europe  
15 and the U.S. outpaced that for fossil fuels and  
16 nuclear. The report suggest the same outcome is  
17 likely on a global basis this year. If Canada  
18 doesn't invest seriously in this direction, we'll  
19 miss out on the innovation, research and  
20 development and the jobs this new green sector has  
21 to offer.

22                   Nuclear claims to have several  
23 advantages by its proponents and I will not name  
24 them all. But I do agree on one concern which we  
25 share. Proponents of nuclear energy have concerns

1 that we lack the political will and commitment to  
2 build a renewable energy system in time to  
3 significantly turn the world around on greenhouse  
4 gas emissions. We acknowledge this difficulty, but  
5 we have to start somewhere including educating  
6 ourselves and others on viable energy alternatives.

7                   Given that as a province and as a  
8 country, we need a proactive energy policy to  
9 reduce greenhouse gases as quickly as possible. We  
10 need to look at our beliefs about the role of  
11 government in developing and implementing energy  
12 capacity which seems to be currently biased towards  
13 the nuclear industry. What could we do with \$26  
14 billion in the renewable energy sector?

15                   The development of a comprehensive  
16 energy plan seems to be held up in Ontario by a  
17 stalemate situation. The question is, will we  
18 conduct a serious comprehensive and unbiased  
19 comparative analysis which includes projections of  
20 the full range of benefits and costs of new nuclear  
21 construction from cradle to grave versus those from  
22 a realistic spectrum of green energy sources and  
23 conservation.

24                   Without an objective study, any  
25 conclusions drawn regarding the efficacy of

1 proceeding with a highly centralized expensive  
2 nuclear options at this point would do a great  
3 disservice to the people of Ontario. Our greatest  
4 concern is that if we invest in new nuclear  
5 reactors for Darlington, this project devour any  
6 moneys the government has to spend supporting  
7 alternative energy projects for years to come.

8                   According to the Stop Darlington  
9 Coalition, expanding our use of green energy to  
10 replace Darlington would create thousands of  
11 decentralized jobs, save ratepayers money and end  
12 the production of radioactive waste. If we can  
13 only afford one approach, we believe it must be to  
14 accelerate the phasing in of all kinds of renewable  
15 energy. Those who argue that social change is  
16 difficult and it will take time to implement our  
17 right. This is the biggest problem facing the  
18 government. No matter which option they choose,  
19 they will have to deal with nimbyism, "Not in my  
20 backyard, please."

21                   If they pick the nuclear option,  
22 they will have to fight nimbyism for the location  
23 of the power plants, for the storage of waste, for  
24 the movement of waste from one area to another and  
25 so on.

1                   If they pick the renewable energy  
2 option, they will have to fight nimbyism wherever  
3 people are concerned about the noise of large  
4 windmills, new green energy investments,  
5 inconveniences that they may experience as a result  
6 of energy conservation. It will require political  
7 will and commitment and it will require economic  
8 infrastructure that supports the direction we seek.

9                   Whatever energy strategy is  
10 decided upon must be explained and sold to the  
11 people in a public education program. A renewable  
12 energy strategy would be based on bottom-up local  
13 initiatives rather than just top-down mega  
14 projects. Financial and technical structures and  
15 systems and incentives must be available to  
16 encourage the innovation and involvement of the  
17 people of the province. With proper government  
18 support, renewable projects should be no more  
19 expensive to the individual or businesses than  
20 other forms of power and should be competitive.

21                   In conclusion, the Joint Review  
22 Panel has a very important role to play. We are  
23 ordinary people. We have done our best to research  
24 the facts, but you will have at your disposal a  
25 much greater range and depth of information than we

1 can provide.

2                                   We ask you to take the full range  
3 of costs from cradle to grave in the nuclear  
4 process into account as you assess the economic  
5 feasibility of nuclear power. We ask you to  
6 closely assess the different types of reactors  
7 proposed and look deeply into their past records  
8 for cost overruns, maintenance and repair issues,  
9 security, records of leakage and so on. The  
10 industry has a long track record of downplaying its  
11 risks.

12                                   If Germany and the rest of the  
13 world, including China, are reviewing nuclear  
14 energy and leaning towards renewable strategies,  
15 Canada must do the same or fall behind in technical  
16 -- technological innovation.

17                                   Consider seriously the  
18 precautionary principle. Are the risks really  
19 worth it? Are we willing to sacrifice future  
20 generations? What kind of a relationship do we  
21 want to have with the earth and with all species  
22 with whom we share this planet?

23                                   It is not your job to plan the  
24 energy future of Ontario. It is your job to  
25 determine if nuclear energy is a safe and cost-

1 effective option. It is your job to determine if  
2 it is a viable option in Ontario today.

3                                 Given the costs and risks, we ask  
4 you to say no. The nuclear industry has not found  
5 solutions to its major problems, no durable  
6 solutions. Tell the Ontario government to put its  
7 efforts into conservation and renewable energy. Do  
8 this for the sake of future generations and all  
9 living beings.

10                                Thank you for your time and  
11 concern for what's best for our province and our  
12 one and only planet. Thank you.

13                                CHAIRPERSON GRAHAM: Thank you  
14 very much, Ms. Rao. I appreciate your  
15 intervention. We will now go to questions from  
16 panel members. I'll go to Mr. Pereira first.

17 --- QUESTIONS BY THE PANEL:

18                                MEMBER PEREIRA: Thank you for  
19 your presentation and your review of the various  
20 aspects of the choices that Ontario has to make  
21 with respect to energy. And you correctly  
22 identified that the -- the primary driver is the  
23 energy policy and the role of government and the  
24 position this panel faces as we have a mandate on a  
25 particular proposal brought forward by the

1 government of Ontario with -- with Ontario Power  
2 Generation -- been given direction as to what  
3 they're supposed to do, so we face a challenge.

4                   And -- and you correctly identify  
5 that, you know, we, in our assessment, can -- can  
6 examine the -- the information on safety, on -- on  
7 viability, on impact on the environment, and that  
8 -- that is what we will do.

9                   As for energy policy, that is a  
10 bit outside our mandate and that is where the  
11 government of Ontario has already gone to  
12 consultations with the public and made some  
13 decisions and -- and so that remain -- that, for  
14 us, is a challenge to -- to get to that domain.

15                   But certainly looking at -- at  
16 what is before us, just to clarify where we stand  
17 on what is before us, is we are looking at a  
18 proposal to build reactors inside a plant parameter  
19 envelope and not of any particular technology  
20 inside a plant parameter envelope, so that's where  
21 we're going.

22                   And in -- in looking forward in --  
23 in your mind, do you see the -- the challenge of  
24 going to an energy supply system -- an electrical  
25 energy supply system predominantly based on



1                   But -- but it is important going  
2 forward that the public try and influence the  
3 policymakers, which is government. But we will do  
4 as you have correctly identified. We have certain  
5 responsibilities to look at safety, at the -- as  
6 far as the environmental assessment aspects are  
7 concerned, to look at the viability of -- of the  
8 project with respect to protection of the  
9 environment, which is our mandate, and so we will  
10 do that.

11                   I'd like to ask you though, in --  
12 in going to a future with renewable energy as a  
13 primary supplier of energy, what -- what challenges  
14 do you foresee? What challenges do you foresee in  
15 terms of acceptability by the public of that  
16 option?

17                   MS. RAO: Margaret Rao. That's  
18 why I named education as being instrumental in  
19 forwarding proposals for renewable energies. And  
20 the -- the bottom up rather than the top down,  
21 getting people involved where they live, I think,  
22 is a hopeful idea; letting people know, "Oh, you  
23 can do something yourself in terms of  
24 conservation."

25                   And in terms of solar -- example,

1 panels in your homes, right where you are, and we  
2 do have -- there's a Green 21 group in Toronto and  
3 there are other groups, small groups, neighbourhood  
4 groups that are very keen on doing the right thing.  
5 And so I'm hopeful when I -- when I see groups of  
6 citizens getting together and -- and coming up with  
7 solutions and then taking the next step, which  
8 would be political, and -- but it's going to take  
9 time.

10 MEMBER PEREIRA: And that is --  
11 that is a challenge.

12 MS. RAO: M'hm.

13 MEMBER PEREIRA: I think that's  
14 the challenge that the province of Ontario seems to  
15 be facing, the challenge of replacing large amounts  
16 of energy generation capacity in a -- in a  
17 relatively short period of time. And -- and that  
18 is something that we, as we hear the interventions  
19 in this hearing and we get presentations from  
20 government departments, we see the challenges and  
21 it's a difficult dilemma to look at the different  
22 challenges.

23 And certainly we -- we understand  
24 where you're coming from and we understand the  
25 concern on the part of Ontarians who are

1 intervening and -- and others from outside the  
2 province. And certainly in -- in looking at what  
3 we have before us, we will be considering all those  
4 points, but looking also at the challenge of, you  
5 know, what impacts can we mitigate if we are to go  
6 forward with a nuclear generation option. Thank  
7 you. Thank you, Mr. Chairman.

8 CHAIRPERSON GRAHAM: Thank you,  
9 Mr. Pereira. Madam Beaudet?

10 MEMBER BEAUDET: Thank you, Mr.  
11 Chairman. I think one of the challenges also is to  
12 look at the precautionary principle which has been  
13 brought up in many submissions, not only with your  
14 representations, but also written submissions. And  
15 what I have found is there are different  
16 definitions of the precautionary principle and I  
17 think we have to base our analysis on the official  
18 one, which doesn't preclude going ahead with the  
19 project if you don't have all the science.

20 You have to take a prudent  
21 approach, but it doesn't mean -- you know, when you  
22 err on the side of precaution, it doesn't mean that  
23 you -- you don't allow a project to go ahead.

24 And many groups have brought up  
25 the ethical aspects of going down the road again of

1 nuclear, and I'd like to hear a bit more from you  
2 what -- what is -- because you have brought up also  
3 the aspect of ethics and of taking a precautionary  
4 approach. And I would like to hear from you a bit  
5 more on this topic, please.

6 MS. RAO: I think my colleague  
7 wanted to say something. Is that okay? Margaret  
8 Rao speaking.

9 REV. DEVERELL: Do I have to turn  
10 it on?

11 MS. RAO: No, it's on.

12 REV. DEVERELL: Somebody did it on  
13 for me. Thank you.

14 I would just like to say before I  
15 answer your question that I see the panel as having  
16 an opportunity to push public policy if they choose  
17 to say no to Darlington because of the risks  
18 involved and the huge costs and the lack of  
19 flexibility of public policy because of it.

20 I think our politicians are going  
21 to have a very difficult time making the  
22 transition. Right now, they're totally committed  
23 in one direction. I think they need a strong push,  
24 and this panel gives us an opportunity to ask for  
25 that push. It would come if you said no, which is

1 why I think it's really important what you're  
2 doing.

3                               So in terms of the precautionary  
4 principle, I just can't see how you can ever  
5 mitigate all the risks. That's my problem,  
6 especially if you look at the cradle to grave, if  
7 you look at the mine tailings, and you look at the  
8 nuclear waste as well as the actual operation of  
9 the reactor.

10                              And we've already just been told  
11 today by OPG that they will not get to zero, that  
12 that's next to impossible in terms of emissions of  
13 things into the Great Lake waters, and I'm very  
14 concerned about the Great Lake waters.

15                              They nourish, you know, half a  
16 continent, so --

17                              MEMBER BEAUDET: Thank you.

18                              MS. RAO: Margaret Rao.

19                              I just want to say, with  
20 precautionary principle, it is a life and death  
21 matter, so I'll -- life comes first and that's the  
22 bottom line.

23                              And we know that cancer is on the  
24 increase, illnesses are on the increase and --  
25 because there are too many toxic chemicals in our

1 environment in great part due to the nuclear  
2 industry.

3 MEMBER BEAUDET: Thank you, Mr.  
4 Chairman.

5 CHAIRPERSON GRAHAM: Yes, thank  
6 you. I have one question.

7 We're always interested in who --  
8 who was -- who different groups are representing  
9 and the numbers and so on.

10 And the Canadian Unitarians for  
11 Social Justice, you're speaking, I think, for  
12 Ontario more than -- in this presentation more  
13 than, say, Saskatchewan or somewhere else.

14 But how large a following are you,  
15 and when you present a brief like this, can we get  
16 an idea of -- you know, because get -- we get all  
17 kinds of information with regard to so many people  
18 were polled or were talked to or communicated with  
19 and so on, but your following or your group, how  
20 long -- how large would it be?

21 MS. RAO: Margaret Rao.

22 Well, Frances may be able to  
23 better crunch the numbers, but we are a rather --  
24 not a big denomination in Canada, the largest being  
25 in Ontario, and we have approximately 400 members

1 of the Social Justice Organization across Canada,  
2 and I would say half -- at least 200 in Ontario.

3 CHAIRPERSON GRAHAM: And those 200  
4 or half of the 400 or whatever it is, they are --  
5 this -- their beliefs -- the beliefs of your  
6 followers that -- I mean, you're speaking for -- in  
7 plurality of your followers?

8 MS. RAO: Well, Margaret Rao.

9 I was speaking on behalf of our  
10 Board, but perhaps Frances -- it's a majority --  
11 majority view. Others have reservations.

12 REV. DEVERELL: Frances Deverell,  
13 yes, we --

14 MS. RAO: A minority has  
15 reservations.

16 REV. DEVERELL: You will never  
17 have consensus of 100 percent in a Unitarian group,  
18 no matter how big or small.

19 CHAIRPERSON GRAHAM: Thank you  
20 very much.

21 With that, I will go to the  
22 procedure that we follow and we go to the floor,  
23 and, OPG, do you have any questions or comments?

24 MR. SWEETNAM: Albert Sweetnam.  
25 No questions.

1 CHAIRPERSON GRAHAM: Then I'll go  
2 to CNSC.

3 DR. THOMPSON: Patsy Thompson. No  
4 questions. Thank you.

5 CHAIRPERSON GRAHAM: The  
6 government departments? I've asked that three  
7 times already today and I don't even see any  
8 government departments here, so I'll presume there  
9 are none.

10 From the floor, do we have any  
11 intervenors? Well, if we don't have any intervenor  
12 questions, thank you very much for coming.

13 Thank you for your presentation,  
14 and safe travels back to your destination. Thank  
15 you very much.

16 I am reminded or I am advised that  
17 we have a request for a brief oral statement. That  
18 brief oral statement is from Dr. Christie who is --  
19 Dr. Alan Christie who is a biologist.

20 He is not registered, but always  
21 in the spirit of bending the rules a little bit so  
22 that everyone can be heard when time permits, and I  
23 say when time permits and today certainly time does  
24 permit, so you can take the microphone, I think.  
25 Either one. You can take either one.

1                   Dr. Christie, I might remind you  
2 that this segment is generally limited to about ten  
3 minutes, so I'd ask you to adhere to that.

4     --- PRESENTATION BY DR. CHRISTIE:

5                   DR. CHRISTIE: Hello. I'm on now?  
6 The reason -- I thought my approach to this  
7 presentation would be first to give you a little  
8 background on myself and then refer to the blue  
9 book, which if you don't have a copy, you're  
10 welcome to it; it will put you to sleep.

11                   And then move on to the Darlington  
12 cooling system at the existing station, which I was  
13 involved in the -- the design of.

14                   I have a Ph.D. from -- well, it  
15 used to be the Minister of Agriculture. I'm an OAC  
16 grad, '58, with a Masters and then a Doctorate at  
17 Perdue.

18                   I then joined the Ontario Water  
19 Resources Commission and worked there as a research  
20 scientist for 10 years, and that turned me into a -  
21 - I then joined Ontario Hydro because I didn't want  
22 to be a civil servant, and was promptly put in  
23 charge of a very -- a multimillion dollar program  
24 at that time to investigate the biological effects  
25 of once-through cooling on the biota off the Great

1 Lakes. As a result, that's the blue book.

2 Now, I won't go into detail on  
3 that, but the program consisted of seven packages  
4 that were dealt out to consultants, and over a  
5 period of three years we looked at entrainment,  
6 thermal discharge, effects on the benthos, how to  
7 site an intake and a discharge, and various other  
8 components.

9 And what we learned from the  
10 exercise, though there is some mortality associated  
11 with the passage of phytoplankton, zooplankton, any  
12 fish eggs through the cooling system, the time  
13 lapse is pretty short. It's five minutes or so.  
14 It did not seem to reflect a significant effect on  
15 the population.

16 The one area of critical interest  
17 was fish impingement, and being an egg, it's sort  
18 of like the calf theory. You want to keep a  
19 population alive, save the cows. If you don't, you  
20 won't.

21 So we focused then from that  
22 program on how could we design a system -- a  
23 cooling system that would minimize fish entrapment  
24 and impingement and subsequent loss, we did this in  
25 part -- Thunder Bay is a pretty interesting

1 example. It's an onshore shoreline intake in the  
2 Mission River.

3 And you get a lot of fish sucked  
4 in. And unit 1 was wiping them out.

5 They were expanding to unit 2,  
6 unit 3, and we put this -- in a fish return system  
7 such that large fish could not get to the  
8 travelling screens.

9 And the smaller fish were lifted  
10 gently out of the water; flushed into a trough;  
11 down into a holding tank, if you will, with a  
12 Hidrostal pump, which was designed to move  
13 anchovies out of fish holes down in Chilli without  
14 marking them up; and sending them back out to the  
15 ecosystem.

16 As far as I know, it's still  
17 working.

18 I've been retired for quite a few  
19 years.

20 Anyways, moving on from that, of  
21 course, we had -- we're faced -- how could we come  
22 to grips with the situation at Darlington?

23 One of the studies or one of the  
24 consultant packages that was in the blue book was  
25 LMS from down in New York State so we could access

1 Oswego.

2                               Across the lake, they have an  
3 offshore situation. And we learned something from  
4 that.

5                               We also took into account some  
6 studies that were also done in the book, offshore  
7 at Darlington, and at the same time looked at the  
8 distribution of the fish and the reproductive  
9 strategy of the various species.

10                              And that's -- this little report,  
11 which is basically a summary of Fishes of Canada,  
12 but only the Ontario species. It predates the  
13 computer.

14                              At any rate, it's a quick and  
15 dirty way of figuring out who's going to be where  
16 when in some ecosystem.

17                              Most of the reproductive activity  
18 is done onshore within 5 metres depths.

19                              Most of our discharges at that  
20 time were near shore, such as Pickering, Bruce,  
21 Lampton, Nanticoke, and so on, even Lennox.

22                              We wanted to move the discharge  
23 off shore, and we wanted to avoid entrapment of  
24 those fish that were not too mobile. So we went  
25 for an offshore intake design.

1                   The idea of the design actually  
2 came to me I was at an APPRIS meeting in San Diego.

3                   Some hydraulic engineers in New  
4 England were using Gabion baskets to filter their  
5 water to the station to keep the fish out.

6                   So I approached our civil design  
7 engineers about this, and we've looked at it.

8                   And there's a report I have back  
9 there of the various designs.

10                  And we also looked at all the  
11 intake designs on the Great Lakes.

12                  And we came to the conclusion that  
13 while the gravel beds are a neat idea, you're not  
14 going to pull 152 cubic metres per second through  
15 them too easily.

16                  So we approached it with a  
17 different strategy.

18                  And a remnant tank left over from  
19 the sea way project in our hydraulics lab provided  
20 us with an opportunity to assess fish behaviour in  
21 relation to draw-down currents and lateral currents  
22 to simulate long shore lake trends.

23                  We looked at various services.

24                  And an excellent fisheries biologist named Dr.  
25 Steve Griffiths carried out the work.

1                   And we -- he had gone out and  
2 captured, if you will -- I've captured a lot of  
3 alewife. That was the main species where we were  
4 concerned about the time.

5                   As a by-product at one time,  
6 Pickering got shut down because 124 tonnes of  
7 alewife came in and plugged the screens.

8                   So we were concerned about  
9 alewife.

10                  Anyways, the long or the short was  
11 we were able to establish that, though the fish  
12 encountered the draw down, capture as a function of  
13 encounter was in the order of, like, 2 percent.  
14 This seemed pretty promising compared to other  
15 intake devices.

16                  If you look at the Bruce A device,  
17 it's 30 feet high. It's got a velocity cap, which  
18 is to counteract the vortex from the surface, and  
19 it's down roughly 10 metres.

20                  When you get an 8-inch fish  
21 swimming into that and it's down the tunnel and  
22 into the bay. We modified the Bruce B intake with  
23 a hanging curtain of chains and ropes and some gaps  
24 about -- like this. And they've never had a  
25 problem with fish that I'm aware of.

1                   But we -- that was a retrofit  
2 approach.

3                   We wanted to come up with a better  
4 design, and ultimately we came up with a surface  
5 configuration much like you see now, if anybody's  
6 visited the Darlington information centre, the --  
7 what we call the porous veneer.

8                   Now, one of the criteria for that  
9 veneer was that the approach velocity on an average  
10 could not exceed half a foot per second or 15  
11 centimetres per second.

12                   And that was based on the fact  
13 that young-of-the-year alewife will move offshore  
14 when they're 5 centimetres long.

15                   A fish can cruise at three to six  
16 body lengths quite adequately. That's the 15  
17 centimetres. They have a burst speed of something  
18 like 12 body lengths to avoid being eaten.

19                   So that was the criteria.

20                   Working with Dr. Emad El Sayed  
21 (ph), who just recently retired -- he was the  
22 hydraulic modeller for this -- the project -- and  
23 Steve, we came up with a design. And there was a  
24 team of five of us, a civil engineer plus those two  
25 and myself and another gentleman from the

1 hydraulics department Wolfe Junkner (ph) 17:12:15.  
2 And ultimately we came up with the design of the  
3 veneer.

4                                 And the veneer is also located in  
5 a site of minimum fish activity based on our  
6 studies.

7                                 So now you have a structure which  
8 actually came in about \$5 million cheaper than the  
9 Bruce intake -- was not ever a problem for  
10 installation due to storms. You just stop and go  
11 out and do it again. And it was all prefabricated  
12 within about a mile gestation site at the nearby  
13 concrete plant.

14                                 The thing is -- and I calculated  
15 it -- one, two, three, four, five -- about 80  
16 metres across -- more like 85.

17                                 The inner portion, which is solid  
18 over the intake, vertical, and then there are three  
19 5. -- 5-and-a-half metre modules out from that,  
20 which have a solid surface. And then you have  
21 three 5-and-half metre modules, which have gaps in  
22 them separated by concrete, 6-inch gaps, 6 inch of  
23 -- so it's a grill. So it looks like a sewer  
24 thing.

25                                 Subsequently, they put some

1 crossbars across them.

2                               This is all -- predates zebra  
3 mussels, by the way.

4                               So that has seemingly posed a bit  
5 of a problem, but to the best of my knowledge,  
6 they've never had a fish impingement problem at  
7 Darlington.

8                               Mind you, like I said, I've been  
9 retired for a few years.

10                              But it was and is probably the  
11 most environmentally benign intake on the Great  
12 Lakes because of the nature of the design.

13                              It's flushed with a bottom.

14                              The velocity cap designs -- and I  
15 only add this -- such as at Bruce I think were  
16 principally based on a velocity cap design  
17 developed at San Onofre nuclear station in  
18 California, a very small nuclear station.

19                              It doesn't -- it's been shut down  
20 now.

21                              The only difference is they had  
22 side panels up on theirs so the crabs couldn't  
23 crawl in and fall down the tunnel.

24                              So I think we achieved a unique  
25 design that has minimized the environmental aspects

1 that we might otherwise associate with other  
2 stations due to fish impingement, and came in more  
3 cost effectively.

4                   The other thing we did on the  
5 cooling system design, part of which was never  
6 built, if in fact this didn't work as well, at the  
7 east end of the four bay there is a space to create  
8 a fish return system back to the lake. And I  
9 believe there is a pipe that was installed during  
10 construction to facilitate that process.

11                   The discharge was located offshore  
12 to enhance mixing with the surface waters and  
13 minimize impingement of a heated plume on the near-  
14 shore zone, which might adversely affect  
15 reproductive behaviour in other mesothermal fish,  
16 adult fish in the vicinity. And that's what I came  
17 to talk about.

18                   CHAIRPERSON GRAHAM: Thank you  
19 very much. As I said, the rules only allow 10  
20 minutes. We've let you go over because we did want  
21 to hear the whole -- your whole presentation.

22                   DR. CHRISTIE: Thank you, sir.

23                   CHAIRPERSON GRAHAM: And thank you  
24 very much. The rules say that I can turn to my  
25 colleagues if they have any questions.

1                   Mr. Pereira, do you have any  
2 questions to Dr. Christie?

3     --- QUESTIONS BY THE PANEL:

4                   MEMBER PEREIRA: Thank you very  
5 much for your presentation.

6                   Clearly in looking at what has  
7 been proposed for the new generating station, the  
8 similar type of design of intake and diffusers, so  
9 we recognize made of the elements that you outlined  
10 and it was good to see and to hear the origins of  
11 what -- what eventually ended up with a new design.  
12 So it was -- it was interesting. I don't have any  
13 questions because we have studied this at some --  
14 some length and asked questions already of Ontario  
15 Power Generation on different aspects of the  
16 design. So we're quite familiar with what you  
17 spoke about. Thank you very much for that  
18 background.

19                  DR. CHRISTIE: Okay.

20                  CHAIRPERSON GRAHAM: Madam  
21 Beaudet, do you have any questions?

22                  MEMBER BEAUDET: I just have one  
23 question. In the proposal, you've heard the  
24 proposal for mitigation that OPG has proposed.  
25 We're looking also at acoustic devices, and I was

1 wondering if -- I'm sure you probably have looked  
2 at those and I would like your comments, please.

3 DR. CHRISTIE: Al Christie. Mr.  
4 Chair. Along with developing the intake design we  
5 looked at ways to retrofit existing designs to  
6 minimize fish entrapment. To that end we developed  
7 a barrier net at Bruce, which I mentioned.

8 We also looked at strobe lights in  
9 the water, forget it. They tried an electric fence  
10 at Pickering. That works on the Rhine River, but  
11 it doesn't work on the Great Lakes. The river  
12 carries the stunned fish away, the intake pulls  
13 them in.

14 Anyways, what else did we look at?  
15 We ultimately came up with a system, which you've  
16 just referred to and that was the design of using  
17 acoustics. And fundamentally they consisted of a  
18 45-gallon drum with a quarter-horse motor and an  
19 arm on a chain drive to hit the -- and it creates  
20 an acoustical reverberation in the water, which  
21 interacts with the fishes' swim bladder, which is  
22 like a balloon which they use to keep themselves.

23 They don't like it; they leave.  
24 And we've used it very successfully -- I believe  
25 there's one installation at Lambton.

1                   Now, we tried it there, at one  
2 point, but we have used it on salmon rivers with BC  
3 to divert downstream migrating smelts to bypass  
4 hydro-electric generating stations. Instead of  
5 getting bass coming out below the turbines, now  
6 they're going around.

7                   And because of Mr. Chairman's  
8 involvement with the Atlantic Salmon Fishery, we  
9 also worked with Nova Scotia Power on a river and  
10 we were able to divert the downstream migrating  
11 adult Atlantic salmon from going through the  
12 generating station. So, yeah, it -- it works.

13                   We had hoped to pursue this to use  
14 the sound to disorganize, if you will, the  
15 protoplasm of zebra mussels. Instead of having as  
16 an alternative to using chlorination to control  
17 zebra mussel problems, and particularly in the  
18 firefighting systems at the stations, this has  
19 always been a concern. They get in there, they jam  
20 the pumps. What are you going to do?

21                   Unfortunately the four of us that  
22 were involved in that program were kind of  
23 downsized, back about 1993, because they had the  
24 option. Retire or go to the Bruce. My wife was an  
25 education superintendent. I wasn't going to the

1 Bruce.

2                               But at any rate, I don't think  
3 anything came of that, but I think it has potential  
4 to control zebra mussel. I think we could use  
5 acoustics for a lot more things than we do.

6                               Just -- the reason I -- I want to  
7 make one additional comment. When I was an  
8 undergrad in agriculture, some go into animal  
9 husbandry, some go into agronomy, botany. I went  
10 into physics and chemistry. So I took a lot of  
11 acoustics.

12                              MEMBER BEAUDET: Thank you. Thank  
13 you, Mr. Chairman.

14                              CHAIRPERSON GRAHAM: Thank you  
15 very much, Mr. -- Dr. Christie, for coming tonight,  
16 and thank you for the patience. I understood you  
17 were here yesterday and we didn't get you on the  
18 agenda, and we did get you on today and we -- we  
19 appreciate the input you've given us, and this  
20 Commission will certainly review your comments and  
21 the synoptics. So thank you very much and safe  
22 trip back to wherever you -- wherever you go.

23                              MR. CHRISTIE: As soon as I leave  
24 here I'll get back to Toronto because my wife just  
25 had her knee operated on.

1                   CHAIRPERSON GRAHAM: Oh. Well,  
2 we'll wish you the very -- the very best. Thank  
3 you very much.

4                   DR. CHRISTIE: Thank you.

5                   CHAIRPERSON GRAHAM: Now we are  
6 going to go into some written submissions, which  
7 will be read by our call manager, Kelly McGee, and  
8 we're going to start with some -- we have them  
9 broken down in some various sectors and we'll start  
10 with PMD 11-P1 and I think it's 18 we start with.  
11 And maybe you'll give the themes as we go along.

12 --- WRITTEN SUBMISSIONS AND QUESTIONS BY THE PANEL:

13                   MS. MCGEE: Thank you, Mr. Chair.

14                   The Joint Review Panel will now  
15 move to the consideration of some of the written  
16 submissions. I will identify the writer and the  
17 PMD number for each submission, and the panel  
18 members will have an opportunity to ask questions.

19                   The first group of submission, PMD  
20 11-P1.45 from John Mark Robertson; PMD 11-P1.99  
21 from Walter Robbins; PMD 11-P1.143 from Siegfried  
22 Kleinau; PMD 11-P1.152 from Phyllis Creighton; PMD  
23 11-P1.179 from Julia Morgan; and PMD 11-P1.222 from  
24 Wanda Ewachow.

25                   CHAIRPERSON GRAHAM: Those have

1 been given as a group. We'll open the floor to  
2 questions from panel members on any specific one or  
3 all of them in general.

4 So we can start with Mr. Pereira,  
5 do you have anything on -- and if you want, I can  
6 call each one out or just identified the ones  
7 you're speaking to.

8 MEMBER PEREIRA: Thank you. We'll  
9 start with PMD P1.45 by Mr. Robertson, the issues  
10 he raises are concerns about cost overruns, spills  
11 that add a threat to the water supply, and  
12 renewable -- the preference to go with renewable  
13 energy, and then concerns about handling of long-  
14 lived waste.

15 Now, these are topics that have  
16 been addressed in a number of other previous  
17 interventions, so for me there's no further  
18 comments or questions.

19 The next PMD is P1.99 by Mr.  
20 Robbins. He identifies concerns about cost benefit  
21 evaluation of nuclear generation options. A  
22 preference to go with green energy choices and his  
23 point he makes is that nuclear generation is not  
24 truly green because of the carbon dioxide penalty  
25 at the mining phase and construction, and he -- he

1 makes that point anyway. Concern about tritium  
2 releases and the intake of tritium through air  
3 emissions and also through -- through water  
4 supplies.

5                   The full-cycle concerns of cradle  
6 to grave and environmental impact considering the  
7 mining -- from mining all the way through to waste  
8 disposal. And then he makes the point that there's  
9 no safe dose. Again, these are issues that have  
10 been brought up in previous submissions.

11                   The next one is P1.143 by Mr.  
12 Kleinau. He brings up issues about carbon dioxide  
13 releases in the full cycle, the nuclear power  
14 cycle, carbon dioxide from mining, leaks of  
15 contaminants to the lake from the power generation  
16 cycle, health effects of radioisotopes releases.  
17 He talks about no safe dose as well and tritium in  
18 drinking water supplies.

19                   The next one is P1.152 for Ms.  
20 Creighton. She talks about nuclear power  
21 generation not being sustainable -- truly  
22 sustainable; cost overruns. She says it's not a  
23 green option. She talks about there being no safe  
24 dose; concern about waste; the long-lived waste,  
25 tritium releases, tritium in water supplies and

1 risk of major accidents.

2                   The next one is P179, Ms. Morgan.  
3 She talks about the full cycle carbon dioxide  
4 releases; has concerns about accidents; has a  
5 preference for renewable alternatives; talks about  
6 use of smart grids to get more effective  
7 distribution of electricity. She talks about  
8 conservation as being the lowest cost option for  
9 management of power demand. And she talks about  
10 nuclear reliability, no accidents.

11                   Now, all of these, as I mentioned  
12 are topics that have been addressed in previous  
13 submissions. And finally, Ms. Awachow (ph). She  
14 talks about nuclear power generation as not being a  
15 rational choice. She brings up ethical  
16 considerations and brings up other concerns being  
17 the cost of transport and the safety issues that  
18 arise with transport of nuclear waste and the cost  
19 -- overall cost of nuclear generation.

20                   Again, these are issues that have  
21 been brought up before. I have no further  
22 questions on any of these PMDs. Thank you, Mr.  
23 Chairman.

24                   CHAIRPERSON GRAHAM: Thank you,  
25 Mr. Pereira, for outlining the various

1 interventions and their concerns. Madam Beaudet,  
2 do you have questions?

3 MEMBER BEAUDET: I believe I agree  
4 with my colleague's overall review of these  
5 submissions. I think with PMD 1.45, we did review  
6 a new recommendation from CNSC, recommendation  
7 number six and it would cover some of the aspects  
8 that this Mr. Robertson was worried about. And  
9 also Mrs. Julia Morgan, PMD 1.179 has -- one of her  
10 concerns is loss of aquatic habitat. And I believe  
11 that we still have certain aspects to look into  
12 that, but we will have to do when the DFO is here.

13 Also the recommendation -- the  
14 reviewed recommendation of number -- number six  
15 from CNSC with respect to chemicals in the lake; I  
16 think address the -- one of the concerns that --  
17 one of the other concerns of Mrs. Morgan. And I  
18 have no other points to raise than what I  
19 underlined. Thank you.

20 CHAIRPERSON GRAHAM: Thank you  
21 very much, Madam Beaudet. Ms. McGee, would you go  
22 through the next batch, please.

23 MS. MCGEE: The next group of  
24 written submissions for the panel's consideration,  
25 PMD 11-P1.18 from John R. O'Toole. PMD 11-P1.74

1 from Bev Oda. PMD 11-P1.82 from Joe Dickson; PMD  
2 11-P1.113 from Peter Tabuns; PMD 11-P1.118 from  
3 Mark Holland and PMD 11-P1.208 from Wayne Arthurs.

4 CHAIRPERSON GRAHAM: Madam  
5 Beaudet, do you have questions with regard to these  
6 -- this round of interventions?

7 MEMBER BEAUDET: All of these  
8 interventions are for the project except the  
9 representative of the NDP. The reasoning for the  
10 people who are in favour as -- are in support of  
11 creation of local, regional and provincial  
12 employment. They are also in support of  
13 institutions such as the Durham University and  
14 Durham College. They only Canadian Nuclear -- you  
15 can have -- the only place in Canada where you have  
16 the Canadian program for nuclear engineering. They  
17 are also in support of Ontario's long-term energy  
18 plan.

19 As for the -- the submission for  
20 the NDP, they considered that there's no case made  
21 for the need of the project; it's not cost  
22 effective and it will cause serious effects to  
23 health and future generation since there is no safe  
24 solution for waste storage for thousands of years  
25 to come. These submissions are mainly opinion

1 submissions and I have no questions.

2 CHAIRPERSON GRAHAM: Thank you,  
3 Madam Beaudet. Mr. Pereira?

4 MEMBER PEREIRA: I have no  
5 comments or questions further to what Madam Beaudet  
6 has raised.

7 CHAIRPERSON GRAHAM: I also --  
8 I've just gone through and noted all of the  
9 support, plus the one that is not. To set the  
10 record, one of them refers to refurbishment. It's  
11 not refurbishment; it's new build, but other than  
12 that I have no other questions so we'll go to the  
13 next round and Ms. McGee.

14 MS. MCGEE: Thank you, Mr. Chair.  
15 The next group of written submissions for the  
16 panel's consideration, PMD 11-P1.115 from AECL.  
17 PMD 11-P1.124 from Ajax-Pickering Board of Trade.  
18 PMD 11-P1.146 from St. Mary's Cement Inc. and PMD  
19 11-P1.161 from Black and McDonald.

20 CHAIRPERSON GRAHAM: Mr. Pereira?

21 MEMBER PEREIRA: Thank you, Mr.  
22 Chairman. I've got them in a slightly different  
23 order, but I'll survive. With the --

24 CHAIRPERSON GRAHAM: Mr. Whitby --  
25 the other day, when they were here, they did a --

1 they did a written one -- not a written, but an  
2 oral presentation. I think it was last Saturday so  
3 you don't need that one.

4 MEMBER PEREIRA: Okay. I'll start  
5 off with Atomic Energy of Canada Limited, P1.115.

6 Atomic Energy of Canada support  
7 the proposal for the project. They talk about the  
8 record as safe and reliable operation of CANDU  
9 Technology in Canada and have no issues of concern  
10 for the project going forward.

11 The PMDP1.124 from the Ajax  
12 Pickering Board of Trade, they support the project  
13 and command Ontario Power Generation as a  
14 responsible operator who they feel can take the  
15 project forward safely.

16 They talk about the socioeconomic  
17 benefits to the project. That the project will  
18 bring to the community and they commend Ontario  
19 Power Generation on the consultation they've  
20 engaged in in the community.

21 The next one is St-Mary's Cement,  
22 P1.146, they -- they say -- they make a comment  
23 saying that nuclear power is sustainable and green.  
24 I'm not -- if they were here, I think I would ask  
25 them to talk about what they mean by when they say

1 it's sustainable because certainly sustainability  
2 is a topic that this Panel is -- would like to  
3 delve more into to get a good handle on the  
4 perspectives of different intervenors on  
5 sustainability.

6                               So when St-Mary's Cement Inc. says  
7 that nuclear power sustainable as a neighbour of  
8 the neighbouring property, we would like to get the  
9 input.

10                              Going on, they have a concern  
11 about the impacts in the lake, including the  
12 impacts of lake and fill. Impact on a number of  
13 aspects in the lake including a group of concerns  
14 that may be labelled as coastal processes.

15                              So, I'm not sure, Mr. Chairman,  
16 how we could address this since I don't believe  
17 they're here, but I'll just, having made that  
18 comment, leave it at that.

19                              And I'll go on to the next one,  
20 P1161 from Black & McDonald. They are a company  
21 who provide a lot of contract support to Ontario  
22 Power Generation at this -- facilities in Durham  
23 region. They support the project going forward and  
24 they indicate that, in their view, the new reactor  
25 project will bring a lot of socioeconomic benefits

1 to the region.

2 And other than the issues about  
3 St-Mary's Cement, Mr. Chairman, that's all I have.

4 CHAIRPERSON GRAHAM: Some  
5 direction here, Mr. Pereira, do you want us to go  
6 with an undertaking to St-Mary's Cement to explain  
7 or I'm not sure -- I'm not sure whether we can do  
8 undertakings with written ones?

9 MEMBER PEREIRA: Well, maybe we'll  
10 deliberate on that and we'll see --

11 CHAIRPERSON GRAHAM: We'll  
12 deliberate ourselves and go further on that.

13 MEMBER PEREIRA: Yeah.

14 CHAIRPERSON GRAHAM: Thank you  
15 very much. Madam Beaudet?

16 MEMBER BEAUDET: I agree with the  
17 comments of my colleague and I have no further  
18 question on this submissions.

19 CHAIRPERSON GRAHAM: Thank you  
20 very much and we will deliberate and report back on  
21 how we'll handle the St-Mary's Cement intervention.

22 We'll then go to the next round  
23 from various organizations and, Ms. McGee, would  
24 you take those, please?

25 MS. MCGEE: Thank you, Mr. Chair.

1 The next group of written submissions for the  
2 Panel's consideration, PMD11-P1.78 from the East  
3 Toronto Climate Action Group. PMD11-P1.105 from  
4 Environment North. PMD11-P1.154 from National  
5 Farmers' Union Waterloo Wellington Local.  
6 PMD11-P1.160 from Bruce Peninsula Environment  
7 Group. And PMD11-P1.177 from Environmental  
8 Coaliton of PEI.

9 CHAIRPERSON GRAHAM: Thank you  
10 very much, Ms. McGee. Madam Beaudet, do you have  
11 questions on any of these?

12 MEMBER BEAUDET: For the PMD1.78,  
13 East Toronto Climate Action Group, you talk about  
14 cumulative impacts make source of energy. And I  
15 must say that all the -- these written submissions  
16 consider that for different reasons, there is no  
17 need for the project or they're against  
18 building -- against the new build.

19 Also, they talk of cost overruns.  
20 The responsibility of the taxpayer of *Nuclear*  
21 *Liabilty Act*. Nuclear is not clean energy because  
22 it has emissions to where -- in water. They refer  
23 also to the problem of nuclear waste. And that the  
24 project should be examined with -- in its full  
25 cycle of nuclear from cradle to grave.

1                   The PMD1.154, the National  
2 Farmers' Union from Waterloo and Wellington Local,  
3 has a recommendation about establishing a protocol  
4 for routine or accidental releases, and I think  
5 we'll have to discuss also how we can get more  
6 information from them on this aspect. And that's  
7 all for this list of written submission on my part.

8                   CHAIRPERSON GRAHAM: Thank you,  
9 Madam Beaudet. Mr. Pereira?

10                   MEMBER PEREIRA: I don't have any  
11 further comments or questions on this group of  
12 PMDs.

13                   CHAIRPERSON GRAHAM: My question  
14 is along the same line as Madam Beaudet's on 154,  
15 the National Farmers' Union. And my question would  
16 be to OPG.

17                   What would your plans be with  
18 regard to establishing such a protocol or having a  
19 better -- or not having a better, I shouldn't say  
20 that or having a type of -- of information flow to  
21 the Farmers' Organization or the Farmers' --  
22 granted this group is Waterloo Wellington, but  
23 still even in this area and for the Farmers of  
24 Ontario?

25                   MR. SWEETNAM: Albert Sweetnam for

1 the record. As part of the -- as part of the  
2 project, we have an extensive outreach program to  
3 all of the stakeholders.

4                   Anybody that's expressed an  
5 interest in the project will be part of this  
6 outreach program, so we'll receive regular  
7 information on the project. How we're going  
8 forward. Any public meetings that are being held  
9 in terms of getting a response from the  
10 communities, they would be invited to these.

11                   CHAIRPERSON GRAHAM: They would  
12 be invited, but would you be setting up more  
13 special -- I guess what my question should be is  
14 farmers and their -- and we've heard presentations  
15 over the last while that farmers are concerned  
16 about -- in the case of an accident or so on with  
17 regard to information flow and so on, not only from  
18 the government agencies, but from the owner of the  
19 facilities themselves.

20                   And will you have some more or  
21 less pipeline or more or less information flow that  
22 is not just set up on an ad hoc basis, but as a set  
23 up in a way that they will be able to participate  
24 on an annual basis introduced?

25                   And I'm thinking of something

1 along the line of the Pickering Advisory Group or  
2 something, but this with regard to the agricultural  
3 departments -- agricultural organizations?

4 MR. SWEETNAM: Albert Sweetnam for  
5 the record. That's correct, we would expect to set  
6 up something similar to what we have in the -- at  
7 Pickering.

8 CHAIRPERSON GRAHAM: Thank you.  
9 We will then go to three -- we'll do three more and  
10 these are from educational groups. Ms. McGee?

11 MS. MCGEE: the next three  
12 submissions for the Joint Review Panel's  
13 consideration, PMD11-P1.85 from Durham College.  
14 PMD11-P1.155 from Scientists in School. And  
15 PMD11-P1.162 from University Network of Excellence  
16 in Nuclear Engineering.

17 CHAIRPERSON GRAHAM: And I'll go  
18 to Mr. Pereira first on these.

19 MEMBER PEREIRA: Thank you, Mr.  
20 Chairman. All of these PMDs talk about Ontario  
21 Power Generation's support for education in the  
22 nuclear field. And they -- they talk about Ontario  
23 Power Generation's safety record with respect to  
24 nuclear power and protection of the environment.

25 And that's about it for the final

1 one, for the submission from University Network of  
2 Excellence in Nuclear Engineering.

3 If they were here, I would have  
4 asked them a question about what they might do on  
5 addressing the challenge of waste management, but  
6 that opportunity is not before us.

7 But other than that, I have no  
8 questions or comments on these submissions.

9 CHAIRPERSON GRAHAM: Thank you,  
10 Mr. Pereira.

11 Madam Beaudet?

12 MEMBER BEAUDET: I think these  
13 submissions are also very much opinion oriented  
14 talking about the safe and good operating record of  
15 OPG and how they, as an educational institution,  
16 can prepare the upcoming generations.

17 And I have no questions for them.

18 CHAIRPERSON GRAHAM: Thank you  
19 very much.

20 That covers some of the written  
21 submissions.

22 We have some more that we'll -- if  
23 time permits, we'll deal with this evening after  
24 the presenters.

25 If not, we'll deal with them at

1 another time when time -- another day when time  
2 permits.

3 We are adjourning for supper or  
4 lunch hour, whatever, and we'll be -- the Chair  
5 will resume at 7:00.

6 Thank you very much, and 7:00  
7 we'll resume.

8 --- Upon recessing at 5:46 p.m.

9 --- Upon reconvening at 7:00 p.m.

10 MS. MYLES: Good evening,  
11 everyone.

12 My name is Debra Myles. I'm the  
13 panel co-manager.

14 Welcome back to -- I did say good  
15 evening, I hope, not good afternoon. Welcome back  
16 to today's second session of the Darlington new  
17 nuclear power plant project joint-review panel  
18 public hearing.

19 Panel secretariat staff are  
20 available at the back of the room. Please speak to  
21 Julie Bouchard if you're scheduled to make a  
22 presentation at this session, if you want the  
23 permission of the Chair to put a question to a  
24 presenter, or if you would like to have the  
25 opportunity to make a statement to the panel, and

1 they're not previously registered.

2                                   Opportunities for questions or to  
3 make a brief oral statement are subject to the  
4 availability of time.

5                                   As a courtesy to everyone in the  
6 room, please silence your cell phones and  
7 electronic devices.

8                                   This evening's agenda will begin  
9 with the International Institute of Concern for  
10 Public Health. That's PMD, panel member document,  
11 11-P1.226 and PMD11-P1.226(A).

12                                   Mr. Chair?

13                                   CHAIRPERSON GRAHAM: Thank you  
14 very much, Debra. And good evening, everyone.

15                                   Welcome, Ms. Tilman, and the floor  
16 is yours.

17 --- PRESENTATION BY MS. TILMAN AND DR. ALBRIGHT:

18                                   MS. TILMAN: Thank you very much,  
19 and good evening to everybody here.

20                                   And IICPH and Dr. Albright and I  
21 appreciate the opportunity to provide this  
22 intervention.

23                                   And I just want to say when I look  
24 around at all the binders that people have, this  
25 has certainly been a daunting task for all of us,

1 and I just wanted to show some of the heavy-  
2 weighted equipment that was needed to go through  
3 for the public to try to participate.

4 This has been very daunting for  
5 the public as well.

6 And we're here to present a public  
7 perspective on the Darlington proposal.

8 First of all, IICPH is a Canadian-  
9 based non-profit international organization. It  
10 was founded in 1984.

11 One of the founders is Dr. Rosalie  
12 Bertell, long known for her work on nuclear issues  
13 and in particular on health effects of low-level  
14 radiation.

15 And this is an excellent reference  
16 book that I would advise, if it's still in print,  
17 by Rosalie Bertell, and it is very educational.

18 The key principle under which the  
19 Institute operates is that a safe environment is a  
20 fundamental human right.

21 As to my personal background in  
22 this, I have a background in mathematics and  
23 physics and in medical biophysics, which I did at  
24 the Princess Margaret Hospital.

25 Pertinent to this hearing, my



1 and when I think of what they must going through  
2 now, it's very emotional.

3                   It's becoming more dangerous and  
4 alarming with each passing day. We don't know the  
5 extent of severity of the ultimate effects that  
6 radiation may cause on the population in the  
7 vicinity of the Fukushima-Daiichi power unit or  
8 what that will have on future generations.

9                   We know now that essential food  
10 items, like milk and produce, are now contaminated  
11 with radioactivity.

12                   And the plume has been detected  
13 beyond Japan.

14                   This is a tragedy that must never  
15 be repeated, and it strengthens our conviction even  
16 further that the risks from nuclear power are not  
17 acceptable.

18                   One accident like this is simply  
19 one too many.

20                   Ultimately, all accidents are  
21 caused by human error, whether it's operational,  
22 design, location, et cetera.

23                   Over the course of the hearings,  
24 we've heard that -- from OPG that the reactors,  
25 including CANDUs, are "even safer than previous

1 designs."

2                               But they're not infallible.  
3 There's no guarantee of absolute safety. Any  
4 technology, such as precise and complicated as a  
5 nuclear reactor requires, can easily run into  
6 serious and unexpected problems.

7                               So our question throughout is, why  
8 are we in Ontario pursuing this dangerous way of  
9 producing steam to generate electricity which will  
10 burden future generations with radioactive waste  
11 that lasts forever without their informed consent?

12                              Getting to the proposal and the  
13 environmental impact statement by OPG, they're  
14 seriously riddled with uncertainties and, in our  
15 sense, flawed.

16                              It has not given due consideration  
17 to the precautionary principle. It does not  
18 promote sustainable development. It does not  
19 address the full range of cumulative environmental  
20 impacts and the effects on human health and  
21 environment that will rise from this project and  
22 every stage in a nuclear chain, and it does not  
23 assess the full cost of the project.

24                              Nevertheless, EI -- the OPG in its  
25 -- in its environmental impact statement has

1 concluded that the project will not result in any  
2 significant environmental effect and no significant  
3 adverse effects on health and safety of workers,  
4 members of the public, or non-human biota are  
5 anticipated.

6                                   We find this inconceivable that  
7 this conclusion can be drawn.

8                                   It is our view that allowing this  
9 project to be carried out will do irreversible and  
10 totally unnecessary harm to the environment health  
11 and wellbeing of millions of people now and in the  
12 future that can't be counted for or speak for  
13 themselves.

14                                   For these reasons and many others,  
15 the panel can best fulfil its responsibility to the  
16 public by recommending that this proposal be  
17 rejected.

18                                   In our oral presentation today, we  
19 will highlight the most significant aspects of the  
20 power point slides and, as indicated, add material  
21 as time permits.

22                                   We researched the guiding  
23 principles of the EIS, and the two principles that  
24 stand out are the precautionary principle, which is  
25 quoted right from the guidelines. And the next is

1 the guiding principles on sustainability.

2 We ask the panel to consider  
3 whether the environmental impact statement provided  
4 by OPG has sufficiently or adequately addressed the  
5 complete life cycle of the project in a  
6 precautionary manner and a manner that promotes  
7 sustainability in accordance with these guiding  
8 principles.

9 Now I'd like to turn to the  
10 proposal. And I've been scratching my head over  
11 this since I first went through this. No specific  
12 design has been selected. We've heard that many  
13 times throughout this hearing. There's -- with  
14 that kind of uncertainty, I find it, from the  
15 public perspective, very difficult to know how to  
16 pursue in this.

17 We've also had the issue, what I  
18 call the two or four issue that's arisen here.  
19 This is very confusing for the public to hear on  
20 the radio, CBC for example, two proposed reactors,  
21 and I keep saying, but the EIS says up to four.  
22 I'm confused, and I wonder how confused the public  
23 is on this.

24 One of the issues that is  
25 concerned -- there's a little bit of order change

1 here -- our models that are used to make  
2 predictions on reliability and safety. For a model  
3 to be valid as a predictor of performance and  
4 safety, models must be complete, accurate, and  
5 tested against actual performance.

6                   As none of the proposed ones have  
7 -- are in service, the models of them cannot be  
8 tested against their performance. Furthermore, to  
9 date, no reactor has operated for the projected  
10 lifetime. Now, I'm talking that most of the  
11 reactors have been maybe 50 years, but very few  
12 have lasted for that long.

13                   One of the areas that is of great  
14 concern is that three of the reactor designs are  
15 proposing various levels of enriched fuel. There's  
16 no enrichment facility in Canada, so I'm not sure  
17 where that operation would go on. That's a  
18 concern.

19                   There's enormous health effects  
20 and other issues related to enrichment plants. We  
21 know there's only one plant left in United States  
22 right now, and that's become contaminated as  
23 Superfund site in the States.

24                   The health effects from enrichment  
25 alone are quite startling, as well as the

1 environmental effects, and in our written  
2 submission, there's a detailed accounting of this.

3                   One of the puzzling things is,  
4 from what I gather, and I can be corrected, the  
5 Canadian set of Criticality Safety Standards does  
6 not exist, so I just want to point that out there.

7                   This is a slide that has examined  
8 the 435 reactors operating. You can -- it speaks  
9 for itself, and the mean age is 25 years. So very  
10 few are out there.

11                   This speaks to how long do they  
12 last? Now, refurbishment is touted as there may be  
13 possible refurbishments that will extend the life.  
14 I daresay that refurbishments so far have not gone  
15 exactly well and have certainly had cost overruns.  
16 I'm thinking of Lepreau in particular in Canada.  
17 So there's that determination how, and there's been  
18 accidents, too, in carrying out refurbishments.

19                   In terms of site preparation, the  
20 first stage that is proposed, there's various  
21 effects that can occur on -- on health and  
22 environment, and they've been gone over and  
23 discussed during the hearing.

24                   I wish to say that the emissions  
25 from dust containing toxic air pollutants and the

1 impact on vulnerable populations, acute and  
2 chronic, can be quite substantial. This area is  
3 part of the Windsor Quebec Corridor area, which is  
4 one of the worst air quality areas in Canada.

5                   In this particular area, Whitby  
6 has become one of the designated hotspots for bad  
7 air. This is not far from any of these areas with  
8 the transportation activities that will occur as a  
9 result of the construction.

10                   There was a very interesting panel  
11 discussion at the hearing on nuclear waste, and I  
12 just call it the insurmountable problem with no  
13 solution. I'm looking -- I've looked at the  
14 inventory to date based on stats that have been  
15 provided and what new -- I've also looked at what  
16 are the potential for the amounts that are yet to  
17 come if these three or four or two reactors are to  
18 be built.

19                   I'm asking the panel, in keeping  
20 with your role and mandate to carry out  
21 environmental assessment of the complete life cycle  
22 of the project, IICPH recommends that the panel  
23 require the management of used nuclear fuel for as  
24 long as it remains hazardous to be included in the  
25 assessment.

1                   I want to also read out what isn't  
2 on the slide, a statement that IICPH has on nuclear  
3 waste, a summary of it. Firstly, there's no safe  
4 dose of ionizing radiation. As long as our  
5 governments and nuclear industries refuse to  
6 recognize this, the health of those living and  
7 future generations to come will keep on being  
8 harmed.

9                   DNA damage from ionizing radiation  
10 is already effecting us now and will affect unborn  
11 future generations thereafter. The only real  
12 solution for nuclear waste is to stop generating in  
13 the first place.

14                   And now I'd like to site a quote,  
15 actually from a relative of mine, Carl Sagan. We  
16 are saying to our descendants that the wastes we  
17 leave them are their burden, their lookout, their  
18 danger because we couldn't be bothered to find a  
19 safer way to generate electricity.

20                   Now to accidents, unforeseen  
21 events, and consequences from technical  
22 malfunctions in human error have been and are part  
23 of nuclear power. They're not like any other  
24 plants. If something goes wrong, it can cause a  
25 major disaster and result in irreversible harm to

1 the health and environment of thousands and  
2 millions of people an Chernobyl did, and now  
3 Fukushima as well.

4                               One of the issues that isn't dealt  
5 with well, in our view, is the out of core  
6 criticality with spent fuel. Whenever you have  
7 enriched fuel, including the fuel fabricating  
8 plants, through transportation, and on site storage  
9 facilities, there is potential for improper  
10 spacing, high density racks, et cetera, all of  
11 which are potential for contributing to out of core  
12 criticality events.

13                              We do not accept a statement in  
14 the Environmental Impact Statement that "An  
15 inadvertent out of core criticality event is  
16 considered not credible." I don't consider that  
17 statement credible.

18                              And I would now like to turn --  
19 cumulative impacts is simply in this case referring  
20 to all the cumulative impacts of the hazardous  
21 facilities on site for storing fuel and other  
22 radioactive wastes.

23                              I would now like to turn this  
24 section over to my colleague -- sorry -- on  
25 probabilistic risk assessments.

1 DR. ALBRIGHT: Yes. For the  
2 record, I'm Dr. Gordon Albright. I'm a Professor  
3 Emeritus of Mathematics at York University, and my  
4 Ph.D. is in physical chemistry.

5 I just want to add that we believe  
6 that out of core criticality is considered not  
7 credible because such events have, in fact,  
8 occurred.

9 I felt it would be useful to put  
10 on the record a few basic principles of probability  
11 and ultimately of a science to help everyone here  
12 present to judge claims based on probability and on  
13 science.

14 There are only two scientifically  
15 valid ways to determine probabilities;  
16 mathematically, based purely on logic, and  
17 imperially, based on past experience. The  
18 probability of a serious nuclear accident cannot be  
19 determined purely by logic because it depends on  
20 such things as the probabilities of various kinds  
21 of human error, natural disasters, terrorism, et  
22 cetera, which cannot be determined by logic alone

23 In our limited experience there  
24 have been at least two accidents in which  
25 containment has been breached, Chernobyl and

1 Fukushima. So the probability of a serious  
2 accident is at least one per generation or two in  
3 10,000 reactor years as best we can estimate it  
4 with the experience that we have. This is far  
5 greater than the estimate of one per million  
6 reactor years, the threshold specified by the CNSC  
7 for a nuclear accident scenario to be credible for  
8 consideration in an environmental assessment. This  
9 threshold has no scientific basis and it's  
10 certainly not supported by experience today.

11                   This underlines an obvious  
12 principle of probability. If you keep on taking  
13 chances, it will only be a matter of time before  
14 you lose, so you should never risk more than you  
15 can afford to lose. The nuclear industry is  
16 clearly operating in violation of this principle  
17 and has already lost more than anyone can afford to  
18 lose at Chernobyl and probably at Fukushima as  
19 well.

20                   The same principle applies to  
21 nuclear waste. Even the tiniest chance of escape,  
22 if we have to keep taking it for millions of years,  
23 makes it absolutely certain that it will escape  
24 with deadly consequences for the human race. This  
25 creates a moral imperative not to generate nuclear

1 waste in the first place.

2                   Another basic principle of  
3 probability is that its predictions are only  
4 reliable when applied to a large number of cases.  
5 It can never guarantee the safety of a single  
6 nuclear reactor over a limited time span, but it  
7 does guarantee that over a million years, nuclear  
8 waste will escape containment if there is even the  
9 tiniest chance that it can do so. Much nuclear  
10 waste already has.

11                   Finally, there's a very simple way  
12 for anyone to scientifically determine that a claim  
13 is false. It's enough to show that it's contrary  
14 to either logic or experience, which are the twin  
15 pillars of science. For example, consider the  
16 claim that nuclear power is safe. There is no way  
17 to make a nuclear disaster logically impossible.  
18 In fact, we've already experienced at least two of  
19 them, so both logic and experience show that  
20 nuclear power is not safe.

21                   Scientific truth is determined  
22 solely by logic and experience, not by authorities  
23 or by majority vote even among scientists.

24                   I'd now like to pass the floor  
25 back to my colleague, Anna Tilman, to discuss

1 Chernobyl.

2 MS. TILMAN: Two nights before --  
3 sorry. Two nights before the situation in Japan, I  
4 was looking at the movie, "Battle of Chernobyl,"  
5 and came up with the animated explosion. And  
6 people have already referred to the consequences of  
7 Chernobyl.

8 It is the worst nuclear disaster  
9 in history, we know. Over 800,000 people were  
10 brought in for the cleanup immediately after the  
11 explosion. But in response to experts who kept  
12 concluding the adverse consequences of health were  
13 not as -- as significant as previously thought, the  
14 former U.N. secretary general, Kofi Annan, voiced  
15 another opinion. I quote:

16 "Chernobyl is the word we  
17 would all like to erase from  
18 our memory. But more than  
19 seven million of our fellow  
20 human beings do not have the  
21 luxury of forgetting. They  
22 are still suffering every day  
23 as a result of what happened.  
24 The exact number of victims  
25 can never be known, but three

1 million children demanding  
2 treatment until 2016 and  
3 earlier represents the number  
4 of those who can be seriously  
5 ill. Their future will be  
6 deformed by it, as well as  
7 their childhood. Many will  
8 die prematurely."

9 Quick interjection. When I was  
10 teaching mathematics and engineering, I had a group  
11 of students who were fascinated with the  
12 mathematics beyond belief, which is always  
13 rewarding. I asked them where were they from.  
14 They said, "We're from Chernobyl." I hope my face  
15 didn't react. They were young men at the time and  
16 I often wondered, "Where are they now?"

17 We don't know the full effect of  
18 Fukushima and it'll take quite a while for that to  
19 unfold. We can only hope that its effects will not  
20 extend to those of the degree of Chernobyl. We  
21 don't know.

22 Change of topic into cumulative  
23 effects, which is a requirement of the  
24 environmental assessment. A cumulative effects  
25 approach assesses the full range of human-generated

1 aggregate stresses that are additive, interactive,  
2 synergistic, from multiple sources, spatial and  
3 temporal on the ecosystem over time from what is  
4 commonly referred to as cradle to grave, which is a  
5 very interesting grave in this case, and well  
6 beyond. It must also include accidents, et cetera,  
7 and all aspects of the nuclear chain.

8                   For a project of this dimension,  
9 all effects on the ecosystem are accumulative and  
10 last for a very long time. However, the EIS was  
11 very limiting in its consideration of cumulative  
12 effects and we find that a challenge when we --  
13 when it doesn't look at the effects from the whole  
14 chain, from obtaining the nuclear fuel all the way  
15 through to the final disposal, abandonment, and so  
16 on. Thus, the cumulative effects as carried out  
17 under the environmental assessment statement does  
18 not consider the complete life cycle.

19                   Given the degree of certainty and  
20 various aspects of this project, it is critical  
21 that the approach to assess cumulative effects be  
22 broadened to the fullest extent in accordance with  
23 the charge to the panel.

24                   The next issue I want to talk  
25 about is the public health and safety. Ionizing



1 reactors routinely release Tritium.

2                   In addition to Tritium, fissioning  
3 leads to releases of deadly caesium-137, strontium-  
4 90, iodine-131, 129. Caesium-137 accumulates in  
5 muscle, strontium-90 in the bone, iodines -- the  
6 two iodines I've mentioned cause thyroid cancer.  
7 Children are particularly susceptible.

8                   In conclusion of this section, a  
9 single radionuclide can cause a lethal cancer and  
10 damage to DNA that may be carried out to future  
11 generations. There is no way -- safe dose of any  
12 radionuclide and this is confirmed by the unit  
13 that's used the measurement of sievert, which  
14 estimates the probability that a given exposure  
15 will result in a fatal cancer, which acknowledges  
16 that human casualties are an inevitable result of  
17 releasing radionuclides.

18                   There are no levels of casualties  
19 that are acceptable or reasonable to a population  
20 that has not chosen to accept them by giving the  
21 informed consent that scientific ethics require,  
22 nor is even a single casualty acceptable to the  
23 unfortunate individual and family that suffer from  
24 it.

25                   Energy and climate change, I'll

1 say briefly, it's not the answer to climate change  
2 because, as you see from the slide, every stage  
3 that's involved in the nuclear cycle is never  
4 presented as part of the total picture. And there  
5 are going to be effects of climate change in time.  
6 We can't just look at it now, but we're seeing that  
7 there are effect.

8                               The money, right? Any nuclear  
9 reactor is a very expensive proposition requiring  
10 government subsidies, insurance guarantees, cost  
11 overruns, long lead times coupled with  
12 uncertainties as to completion dates are endemic to  
13 the industry. Many billions are needed. We don't  
14 even know how much for decommissioning and legacy  
15 waits. The true financial cost has been hidden by  
16 extensive government subsidies, unrealistic low  
17 limits on the facilities, liability for accidents,  
18 and leaving the cost of definite waste storage and  
19 decommissioning out of pricing structures.

20                               Discussions have been held on why  
21 are we not considering alternates. We would  
22 contend that the proposed project impedes the  
23 development of renewable alternatives. I just want  
24 to address one point here, and that is that ten  
25 plants are to be refurbished in a period of time,

1 ten nuclear plants. As each plant is being  
2 refurbished I strongly recommend that OPG takes the  
3 time, and the Government of Ontario to take the  
4 time to look at alternatives, clean, renewable  
5 energy with -- in stages, because you're only going  
6 to be able to refurbish them in stages. And this  
7 will allow you to close these facilities down one  
8 by one.

9 For the conclusion I'll turn to  
10 Dr. Gordon Albright.

11 DR. ALBRIGHT: Dr. Gordon  
12 Albright, for the record. We are running very  
13 short of time, so I am going to cut short our  
14 conclusions, but there are a couple of very  
15 important points that I want to make right at the  
16 start.

17 If OPG really believed that its  
18 proposed nuclear plants were safe, it would be  
19 willing to back this claim by accepting liability  
20 for the full cost of any accident that might happen  
21 there. Instead it is wisely refusing to risk more  
22 than it can afford to lose. So if this project  
23 goes forward it is the people of Ontario and Canada  
24 who will have to risk more than they can afford to  
25 lose. In all conscience and fairness, we don't see

1 how the panel can recommend that they be forced to  
2 do this. Why should the public have to take a risk  
3 that OPG is not prepared to take.

4 Chernobyl has clearly shown us how  
5 serious nuclear accidents can be, and what a  
6 terrible price people have to pay for them. And it  
7 could have been far worse. Only heroic human  
8 sacrifice prevented a second explosion that could  
9 have wiped out half of Europe. If that had  
10 happened we would not be discussing the  
11 construction of new nuclear plants today. Do we  
12 really have to wait for a disaster of that  
13 magnitude before we finally abandon nuclear power.

14 The threats from nuclear waste, we  
15 have discussed at length. Suffice it to say that  
16 future generations will have to pay an enormous  
17 price for our having generated nuclear waste, and  
18 they will get no corresponding benefit. And if all  
19 the purely monetary costs of nuclear power fully  
20 taken into account, it's very clear that the cost  
21 of nuclear power is absolutely prohibitive. At  
22 Chernobyl and Fukushima alone it's already cost us  
23 more than it's worth.

24 And finally, I would just like to  
25 introduce a broader historical perspective on this.

1 The question is, why, under these circumstances,  
2 are we even considering the possibility of nuclear  
3 energy? And the answer, of course, is because  
4 we're so desperate for energy. The great  
5 historian, Arnold Toynbee has said, that a  
6 civilization enters decline and fall when it starts  
7 to resort to temporary expedience to meet its  
8 challenges instead of lasting solutions.

9 As Mr. Pereira pointed out this  
10 afternoon, this panel's most important mandate is  
11 to ensure an adequate energy supply for Ontario. I  
12 would just urge you to ensure for the sake of  
13 preserving our civilization, that it pursue -- they  
14 not embark on temporary expedience that become more  
15 and more dangerous and destructive, but instead  
16 look for lasting solutions. This is ultimately the  
17 only way to serve the lasting well-being of the  
18 people of Ontario. Thank you very much.

19 CHAIRPERSON GRAHAM: Well, thank  
20 you very much, Ms. Tilman and Mr. Albright. We  
21 start the questioning from panel members. Mr.  
22 Pereira.

23 --- QUESTIONS BY THE PANEL:

24 MEMBER PEREIRA: Thank you, Mr.  
25 Chairman. I'd like to start off by commenting on

1 the statement alleged -- that I am alleged to have  
2 made. I did not -- I don't believe I said that  
3 this panel's responsibility is to ensure an  
4 adequate supply energy for Ontario. This panel's  
5 mandate is to carry out an environmental assessment  
6 of the option proposed by the -- by Ontario Power  
7 Generation based on decisions made by the Ontario  
8 Ministry of Energy for an energy option. We are  
9 not making any choice, and we are not here to  
10 ensure an adequate supply of energy for Ontario.  
11 So I don't believe I said that, but anyway, let the  
12 record show what I believe I said.

13                   So I'll go on, then, to a series  
14 of questions. And I'll start off with addressing  
15 the question of criticalities safety. And two  
16 things, 1) the out-of-core criticality, the concern  
17 over if we did go with a reactor that required  
18 enriched fuel, how would we assure safety with  
19 respect to out-of-core criticality. And related to  
20 that is a question about the fact that how we would  
21 do it given the context that there appear to be to  
22 be no criticality safety standards in Canada.

23                   I go to the CNSC to comment on how  
24 that would be -- how those two aspects would be  
25 addressed, out-of-core criticality and the fact --

1 and the observation that we do not have criticality  
2 safety standards.

3 CHAIRPERSON GRAHAM: Mr. Howden?

4 MR. HOWDEN: Thank you. Barclay  
5 Howden speaking for the record.

6 From the standpoint of criticality  
7 standards, when the EIS was issued at that time we  
8 were using an ANSI standard, which is American  
9 National Standards Institute. But since that time  
10 the CNSC has issued its own criticality standard  
11 called RD327 Nuclear Criticality Safety. And an  
12 accompanying guidance document called GD327,  
13 Guidance for Nuclear Criticality Safety. So that  
14 -- those were issued in December and those are new  
15 that have been put out.

16 From the standpoint of preventing  
17 criticality, basically our regulatory requirements  
18 have been that the proponent demonstrates that  
19 criticality cannot occur or demonstrate that they  
20 can build a facility that should criticality occur  
21 out of the reactor, that it can withstand the  
22 event. So there's very specific nuclear safety  
23 requirements that they have to follow within the  
24 design and the handling of any enriched fuel.

25 From the standpoint of experience,

1 even though the nuclear power plants don't use  
2 enriched fuel, enriched uranium has been used in  
3 Canada. It's used up at the Chalk River site  
4 because NRU reactor is fuelled with low enriched  
5 uranium. So there is quite a bit of significant  
6 experience with enriched fuel within Canada, and we  
7 would apply the experience that we have from a  
8 regulatory standpoint with that facility to any  
9 proposal that a proponent would make should they  
10 choose a technology that uses enriched uranium.

11                                   MEMBER PEREIRA: Thank you. My  
12 second question concerns the use of the  
13 probabilistic approach for probabilistic risk  
14 analysis for assessing the consequences of severe  
15 accidents in the reactors being considered for this  
16 proposed project. And again, I go back to the CNSC  
17 because I believe the assessment done is based on  
18 CNSC standard RD337, so I pose that question to  
19 CNSC to explain the rationale for using the  
20 probabilistic approach the way it is done in that  
21 standard.

22                                   MR. HOWDEN: Barclay Howden  
23 speaking. I'll just provide an introduction, and  
24 then Dr. Dave Newland will respond to that. RD337  
25 speaks about safety goals, but if we -- I think Dr.

1 Newland will also talk about RD310, which is safety  
2 analysis requirements, which will probably speak  
3 more to the question that you're posing. So I'll  
4 ask Dr. Newland to reply.

5 DR. NEWLAND: Dave Newland for the  
6 record. Yes, maybe I'll broaden the discussion out  
7 very slightly to talk about how we -- our  
8 regulatory expectations for doing safety analysis,  
9 and safety analysis can be broken down into two  
10 broad areas; accident analysis, analyses of  
11 accidents that we expect to occur so-called within  
12 the design basis, design basis accidents. And then  
13 those kinds of analyses that we do for the rarer  
14 types of events, severe accidents, which are known  
15 as probabilistic safety assessments.

16 So in terms of our overall  
17 guidance, there is guidance within RD337. And  
18 under that we have two other documents, RD310 for  
19 accident analysis. This sets out the requirements  
20 and S294 which sets out the requirements for doing  
21 probably safety assessments.

22 So in broad terms, the safety  
23 cases is based on the use of both of those. And  
24 what I would say is that in both cases, they use  
25 analytical models based on theory. Based on

1 empirical observations, based on data that comes  
2 from either a plant. For example, reliability data  
3 or data from specifically in controlled experiments  
4 to understand specific phenomena in order to build  
5 up an understanding of how an accident will evolve  
6 either in terms of phenomena or in terms of the  
7 probability.

8                                   And so turning specifically to the  
9 PSAs, they are mathematically based. It's a  
10 combination of understanding how you put together  
11 those probabilities to get to a -- an overall  
12 probability of a core damage frequency.

13                                   It is based both on a mathematical  
14 construction and empirical data that is based on  
15 looking at data of failures of systems and  
16 components and structures.

17                                   And I guess my final point there  
18 is, these methods, I generally believe that they  
19 are -- they're complete. They're peer reviewed.  
20 They're reviewed by us, but they're not perfect and  
21 we always take the opportunity to learn from events  
22 when they occur and we see things that perhaps we  
23 didn't anticipate exactly as we intended, so we do  
24 learn from experience and fold that in as we move  
25 forward.

1                   MEMBER PEREIRA: Can I just follow  
2 up with you on how does this approach that you  
3 describe compare with approaches adopted in other  
4 countries, say like the United States, France,  
5 Finland?

6                   MR. NEWLAND: Dave Newland for the  
7 record. We are a member of an international  
8 working group that looks at the application of PSAs  
9 and safety goals. We contribute to the working  
10 groups in the International Atomic Energy Agency.  
11 I think that's about it.

12                   MEMBER PEREIRA: I would like to  
13 follow up on the same topic, the same question and  
14 go to Ontario Power Generation to talk about how  
15 this approach was applied for accident analysis,  
16 conclusions that are presented in the Environmental  
17 Impact Statement for the new reactor project?

18                   CHAIRPERSON GRAHAM: Mr. Sweetnam?

19                   MR. SWEETNAM: Albert Sweetnam for  
20 the record. I'll ask Dr. Jack Vecchiarelli to  
21 address this question.

22                   DR. VECCHIARELLI: Jack  
23 Vecchiarelli for the record. In the accidents and  
24 malfunctions, technical support document, we  
25 summarized from the available vendor safety

1 analysis information, the core damage frequencies,  
2 large release frequencies, results from probabilistic  
3 risk assessments that were conducted for licencing  
4 submissions in regulatory regimes, which are very  
5 mature. And basically we were able to infer based  
6 on those independent studies that they would meet  
7 the RD337 safety goals.

8 MEMBER PEREIRA: When you refer to  
9 accident analysis that were done for other  
10 regulatory regimes, what particular regulatory  
11 regimes were you referring to?

12 DR. VECCHIARELLI: Jack  
13 Vecchiarelli for the record. For example, in the  
14 case of the AP1000 and in the EPR, submissions to  
15 the U.S. NRC for design certification applications,  
16 as well as for the U.K.

17 MEMBER PEREIRA: Thank you very  
18 much. I'll go on to get some clarification on  
19 some -- a comment you made about, "No safe level of  
20 exposure -- there is no safe level of exposure of  
21 ionizing radiation." Does this apply to background  
22 radiation as well?

23 MS. TILMAN: There is two aspects  
24 to background radiation as you may be aware. The  
25 natural background radiation and what is sometimes

1 called background radiation that incorporates  
2 industrial activity over time.

3 I would say that when you start  
4 looking at it at an elevated level, we don't know  
5 if there are -- it is very difficult to say we can  
6 attribute the rise in cancer exactly to that  
7 because that kind of radiation is very difficult to  
8 determine, very difficult to determine the victims.

9 But, yes, one could look at the  
10 fact that we have increased over natural  
11 background, over time, over industrialization the  
12 levels of ionizing radiation to which we're  
13 exposed, so the potential exists that more cancers  
14 have been created for that. Again, that's another  
15 probability argument, right?

16 The degree? No, we don't know.  
17 Cause and effect is hard, so therefore all you need  
18 in some cases for some of these particles is one  
19 atom to enter into your lung to cause cancer.  
20 Okay, one lung -- alpha particle is all you really  
21 need, so when you start looking at it that way,  
22 therefore there is no safe dose.

23 MEMBER PEREIRA: The reason I ask  
24 is because I'm trying to understand the nature of  
25 the issue here because in Canada, and I may not be

1 quite right on this, the background radiation  
2 levels are between two and three millisieverts  
3 depending on where you live in the country, but if  
4 you go to some other countries, you'll find  
5 background radiation levels of ten millisieverts,  
6 15 millisieverts.

7                   And I may be wrong, I'll -- you  
8 may have more information on this, but I'm trying  
9 to look at whether people in those countries where  
10 there is higher levels, a significantly -- at  
11 greater risk in whether they should be leaving  
12 those -- where they live and go someplace else.

13                   MS. TILMAN: In terms of the  
14 sievert, the sieverts are a complicated unit to  
15 express dose level and I think it's one that we  
16 always have trouble wrapping our heads around, but  
17 it's a probabilistic risk model, as well, which  
18 assigns a Q factor, which depending on whether it's  
19 an alpha-neutron and so on.

20                   So it's a level to say, okay,  
21 where do we set those kind of levels? What risks  
22 are we willing to tolerate? What risks are  
23 acceptable? So it is a trade-off.

24                   If -- it's hard for me to say from  
25 countries that there may be more, what is that

1 extra dose do to -- is it fallout? Is it  
2 extra -- you know, is it the cosmic radiation and  
3 so on? It's hard for me to say what may be there.

4                   It's hard to say on an individual  
5 basis whether one will get cancer or will not.  
6 There is your probability too and there is your  
7 genetic makeup. There is -- it's so complicated  
8 and so I can't answer that with any kind of  
9 certainty to be honest with you.

10                   I just fear that we know that  
11 there is enough out there. I mean, there's -- it  
12 just takes that little bit. There is now an effect  
13 that's being looked at called the bystander effect  
14 where near -- it's not just the nucleus of a cell  
15 that will be affected, but other parts can be  
16 affected.

17                   You just need to do a little  
18 scrambling of that DNA. And you don't know at what  
19 point, at what generation that effect will manifest  
20 itself, if it does, because the DNA has lots of  
21 elements that -- you know, that are not active,  
22 others are. You don't know. And that's why we  
23 can't risk increasing the level.

24                   The other problem too is, it's  
25 mystifying. Radiological compounds are not subject

1 to the same safety levels even for workers that  
2 are -- that are set for other non-radiological,  
3 toxicologic exposures. Why is that? And I would  
4 like an answer to that?

5 DR. ALBRIGHT: I would also like  
6 to comment, if I may, one problem with the way that  
7 radiological doses are assessed typically is that  
8 they're based entirely on external radiation.

9 When a radionuclide becomes really  
10 deadly, as Ms. Tilman indicated, is when it enters  
11 the body. Then a single atom can have a lethal  
12 effect and this is the basis for our contention,  
13 that there is, in fact, no safe dose when you take  
14 internalization of radionuclides into account. An  
15 alpha emission outside the body is generally  
16 harmless, but inside the body it can be lethal.

17 So I think it's very important to  
18 have standards that take into account radionuclides  
19 that enter the body and not just radionuclides that  
20 give off radiation outside the body. When you look  
21 at it from this point of view, that a single atom  
22 can have a lethal effect, and as you know, in a  
23 kilogram of nuclear waste there's an absolutely  
24 astronomical number of atoms, six times ten to the  
25 23<sup>rd</sup> I'm sure you're familiar. It's Avogadro's

1 number. That's how many atoms you have in, say, in  
2 a quarter of a kilogram of plutonium. That's an  
3 awful lot of potential lethal doses if that  
4 plutonium is -- enters a human body.

5                   This is why we feel that releasing  
6 radionuclides into the environment is absolutely  
7 certain to cause human casualties both in terms of  
8 health and in terms of lives even if -- and not  
9 only that, in the case of plutonium, these  
10 casualties occur for millions of years and will add  
11 up to an enormous number.

12                   This is -- this is regardless of  
13 the fact that the particular victims can't be  
14 identified and can't be counted and can't  
15 necessarily even be measured statistically. But  
16 nevertheless they're there and they're there in  
17 very, very, very large numbers over the millions of  
18 years that this radioactive material remains  
19 dangerous.

20                   So I think that needs to be very  
21 clearly taken into account and it can't be by  
22 radiation standards that only look at external  
23 radiation and its effect on the human body.

24                   MEMBER PEREIRA: Thank you. Well,  
25 this helps me understand better, this very

1 categorical statement, no save level of -- there's  
2 no safe level of exposure to ionizing radiation is  
3 somewhat qualified by different -- consideration of  
4 a different aspect. But this is a very categorical  
5 statement. Thank you.

6 CHAIRPERSON GRAHAM: Thank you,  
7 Mr. Pereira. Madam Beaudet?

8 MEMBER BEAUDET: Thank you, Mr.  
9 Chairman. I would like to look at the topic -- one  
10 of the topics you have raised which is cumulative  
11 effects. And your proposal is to include all  
12 activities from cradle to grave and also not to  
13 confine the study area, I presume to Darlington,  
14 but to include also where mining is done, et  
15 cetera.

16 In Canada the -- CEAA has a very  
17 definite definition of cumulative effects and it's  
18 not necessarily what you're talking about here on  
19 page 15. You would have cumulative effects if you  
20 have different projects at different times, but in  
21 the same region. Like, for instance, we could look  
22 at the cumulative effect on Round Whitefish with  
23 Pickering existing and Darlington and new  
24 Darlington, but most probably in your domain there  
25 is -- it's not called additive, but cumulative dose

1 and I presume in the health science you would use  
2 cumulative effect, but in a different way than we  
3 use it for in environmental assessment.

4                                   However, after saying that, I'd  
5 like to go to CNSC and in their PMD 1.3, on page  
6 122, because they do refer here what you could  
7 qualify as addictive effect. They do refer here  
8 also -- it starts on page 119, as cumulative  
9 radiation dose, but here I think we refer to the  
10 cumulative in a different context as if you were  
11 doing environmental assessment of cumulative  
12 effects on the terrestrial environment or the  
13 aquatic environment.

14                                   And on page 122, the last  
15 paragraph you say that the staff found that the  
16 proponent did not demonstrate adherence to the  
17 equivalent dose limits for members of the public,  
18 although the effective dose limits for members of  
19 the public were not specifically mentioned in the  
20 EIS, OPG has indicated that they intend to meet all  
21 regulatory requirements.

22                                   From all the presentations that we  
23 have received in the last few days about cumulative  
24 health effects in brackets, I'd like CNSC to  
25 explain to me, because there's no recommendation

1 for this section, where the panel now is supposed  
2 to go. Still the ALARA principle; what would apply  
3 here; what do you recommend?

4 CHAIRPERSON GRAHAM: Dr. Thompson  
5 will you address Madam Beaudet's question and  
6 clarification, please.

7 DR. THOMPSON: Patsy Thompson for  
8 the record. The -- in the EIS, the doses for  
9 members of the public, which is the -- the topic of  
10 page 122, were assessed taking into consideration  
11 all radionuclides and all exposure pathways and a  
12 dose was calculated which -- the highest dose to a  
13 one-year old living on a dairy farm was the highest  
14 dose calculated for members of the public. And if  
15 I remember well, it's about five microsieverts.

16 And the statement is to the effect  
17 that although the public dose limit wasn't  
18 specified as such, the fact that doses are very low  
19 for the CNSC means that the intent of the  
20 regulations will be met and that dose is -- will be  
21 kept ALARA because they're predicted very, very  
22 much below the public dose limit.

23 MEMBER BEAUDET: Thank you. I  
24 would like some comments from you first on how you  
25 see cumulative effect assessment is -- has to

1 progress? I think we all agree in terms of  
2 studying environmental effects, but -- so I'd like  
3 to hear your comments about that because you do  
4 propose something here different. And then also I  
5 would like you to, if you have some comments from  
6 the answer of CNSC, please?

7 MS. TILMAN: First of all, I was  
8 quite astonished, let's say, if I were to look at  
9 it from a public perspective with no knowledge of  
10 environmental assessment which can be the case, I  
11 was quite surprised to look at the shortcomings in  
12 there because I've been working on a lot of  
13 chemicals other than this, and a lot of situations  
14 where we think of cumulative; we keep stressing the  
15 need more and more to go into the cumulative  
16 effects and to look at all aspects from, as we say  
17 in this case, cradle to grave. I mean, in time too  
18 and in space, and Dr. Robert Gibson, from the  
19 University of Waterloo has done quite a bit of work  
20 on environmental assessment and the need to improve  
21 the cumulative assessment impact aspects of EAs  
22 including -- including Mr. Dunker and Greenwich  
23 which are also experts in this area. I'm not, but  
24 I know that intuitively when we talk about  
25 cumulative impacts we are looking at the whole

1 range. If we omit that range and limit it to just  
2 one aspect, that's not cumulative. Cumulative is  
3 over time; it's not just an additive. It's  
4 synergistic and so and it's what aspect are you  
5 bringing in? What is involved in bringing a  
6 nuclear power plant or even preparing the site, in  
7 order to build a plant? I mean, you have to have a  
8 rationale for that. What's involved in that whole  
9 process and what's involved what's that process  
10 goes to completion? What's involved after? That's  
11 cumulative. And we certainly recommend that the  
12 panel take the widest approach to the cumulative  
13 impacts and if there's deficiencies in the EA,  
14 which there might very well be in this aspect, that  
15 needs to be looked at. But for the panel we  
16 recommend that you look at the widest aspect  
17 possible.

18 I don't know if that answers your  
19 questions, Madam Beaudet.

20 MEMBER BEAUDET: No. I think it  
21 does.

22 But I think we would have to  
23 change the guidelines.

24 MS. TILMAN: It can be done.

25 MEMBER BEAUDET: Thank you.

1 Thank you, Mr. Chairman.

2 CHAIRPERSON GRAHAM: Thank you,  
3 Madam Beaudet.

4 I just have one question.

5 And I know it's gone through --  
6 we've gone through this before, but I think it's on  
7 page 6 of your presentation with regard to -- no,  
8 page 9, I should say, with regard to the PPE and  
9 regarding what design is chosen.

10 And what I -- I guess what I ask  
11 OPG is, regardless of the design chosen, is -- will  
12 the site accommodate if the NWMO is not decided or  
13 if the -- barring nothing else being decided about  
14 storage of waste, will the site -- and I've asked  
15 you this, but for the benefit of the presenter  
16 tonight, will the site accommodate for the life --  
17 for the 60 years and on all of the waste that will  
18 be produced by any of the four reactors that -- and  
19 of the four designs that may be chosen, can it all  
20 be stored onsite for the entire life of the site  
21 and in perpetuity?

22 MR. SWEETNAM: Albert Sweetnam for  
23 the record.

24 We confirm that irregardless of  
25 the design chosen, if any of the four designs are

1 chosen, the site will accommodate all of the fuel  
2 waste at the site for the full 60 years of the life  
3 cycle.

4 CHAIRPERSON GRAHAM: And if there  
5 was another design, it would still have to fit  
6 within this parameter; is that correct?

7 MR. SWEETNAM: Albert Sweetnam for  
8 the record.

9 If there was another design, it  
10 would have to fit within the PPE approach, which  
11 includes the fact that all of the waste has to be  
12 able to be stored on the site for the duration of  
13 its life.

14 CHAIRPERSON GRAHAM: Thank you.

15 Okay. That is the presentation --  
16 no, that's the question.

17 Mr. Pereira, do you have anything  
18 else?

19 Madam Beaudet?

20 If that is the case then, we will  
21 go to the procedure that we've followed.

22 OPG, do you have any questions to  
23 the intervenor tonight?

24 MR. SWEETNAM: Albert Sweetnam for  
25 the record.

1 No questions.

2 CHAIRPERSON GRAHAM: CNSC, do you  
3 have any questions or comments?

4 DR. THOMPSON: Patsy Thompson for  
5 the record.

6 No comments and no questions.

7 Thank you.

8 CHAIRPERSON GRAHAM: Thank you.

9 Government participants?

10 And I don't think there's any.

11 There weren't any this afternoon.

12 So then we will go to intervenors,  
13 and do we have any intervenors?

14 If we don't -- you don't have any?

15 Yes. I guess, Mr. Kalevar, good  
16 evening. One question and -- a question, please.

17 --- QUESTIONS BY THE INTERVENORS:

18 MR. KALEVAR: With all due  
19 respect, sir, Mr. Chairman, through you, could I  
20 bring to your attention some news item that has  
21 come to my attention?

22 CHAIRPERSON GRAHAM: Bring a news  
23 item?

24 MR. KALEVAR: Yes.

25 CHAIRPERSON GRAHAM: Well --

1 MR. KALEVAR: I think --

2 CHAIRPERSON GRAHAM: -- I think  
3 maybe --

4 MR. KALEVAR: In Japan -- it's  
5 about what is happening in Japan.

6 CHAIRPERSON GRAHAM: Would you put  
7 your question, please?

8 MR. KALEVAR: Yes, okay. The  
9 president of TEPCO, he has been hospitalized  
10 because of fatigue and high blood pressure. And  
11 the Chairman has taken over, and he has ordered the  
12 four plants at Daiichi decommissioned as of now.

13 And the residents within 20  
14 kilometres will not be able to return for several  
15 weeks.

16 Now, they have also ordered that  
17 regular emergency drills will take place in that  
18 area.

19 My question now is, has OPG ever  
20 conducted any emergency drill around Pickering,  
21 Darlington, or Bruce covering 10 or 20 kilometres?

22 CHAIRPERSON GRAHAM: I believe  
23 we've had that question answered on several  
24 occasions, sir, so I will refrain from taking it at  
25 this time because I -- it has been -- there have

1 been talks of emergency preparedness. We went  
2 through this on numerous occasions and so on, so --

3 MR. KALEVAR: We are actually  
4 talking of drill in which citizens leave their  
5 homes and get out in some time frame work. I don't  
6 think I have heard of anything like that happening.

7 Paperwork is not legwork. We are  
8 talking of legwork of citizens.

9 CHAIRPERSON GRAHAM: Mr. Kalevar,  
10 that was answered the other day. Scenarios were  
11 worked out. Physically, it was told, there wasn't.  
12 You knew that. That was here the other day. And  
13 those scenarios -- so I'm going to say that's all  
14 the question I'm taking for you tonight. Thank you  
15 very -- on this subject.

16 Thank you.

17 UNKNOWN SPEAKER: Mr. Chair?

18 CHAIRPERSON GRAHAM: Now, I will  
19 go to Ms. Tilman for final comment before we go to  
20 another presenter.

21 DR. ALBRIGHT: Thank you very  
22 much.

23 It's Dr. Gordon Albright for the  
24 record.

25 I just wanted to respond very

1 briefly to the comments from CNSC on probability.

2                   Just reiterating what we said in  
3 our presentation that, first of all, a mathematical  
4 model to be valid has to be complete and accurate.

5                   Ideally, it should also be tested  
6 against actual experience.

7                   As the intervenor from CNSC  
8 acknowledged, nuclear accident is something that  
9 can have very complex causes. It's impossible to  
10 construct any model that would take them all into  
11 account, let alone determine the probabilities of  
12 all of them sufficiently, accurately to give a  
13 reliable prediction.

14                   And even if it could provide an  
15 accurate probability, as I said in my presentation,  
16 probabilities only apply reliably to large numbers  
17 of cases and not to a single nuclear reactor over a  
18 limited period of time.

19                   If this were not so, then nobody  
20 would ever win Lotto 6/49 because the odds against  
21 it are one in 14 million.

22                   And the -- the fact that people do  
23 win Lotto 6/49 shows that in any individual case,  
24 anything can happen even if the probability is  
25 extremely low.

1                   The probability of one in 14  
2 million is what enables the lottery to continue to  
3 function because it guarantees that over a very,  
4 very large number of cases, the lottery is not  
5 going to lose money.

6                   So I just want to make it clear  
7 that probabilistic considerations cannot, in any  
8 way, guarantee the safety of a nuclear plant.

9                   CHAIRPERSON GRAHAM: Thank you  
10 very much for your observation.

11                   We have a bit of -- we have a bit  
12 of communications problems, a delay in our messages  
13 coming up.

14                   And there was one other presenter  
15 -- one other intervenor that wanted to put a  
16 question.

17                   Kathleen Cooper of CELA, I  
18 apologize because we didn't get that message, but  
19 please provide your question.

20                   MS. COOPER: Thanks very much.

21                   For the record, Kathleen Cooper,  
22 Canadian Environmental Law Association.

23                   It was because I was -- something  
24 you said right at the very end, but your question -  
25 - that's why it took me so long -- or it was --

1 didn't get over there to ask the question.

2                   You asked, Mr. Chairman, about  
3 storage of nuclear waste onsite for the 60-year  
4 lifespan of the reactor -- the four proposed  
5 reactors.

6                   You also said, can it -- you said,  
7 can it be stored onsite and in perpetuity?

8                   The answer was about the 60 years.

9                   I would be very interested to know  
10 what the answer would be to the second half of your  
11 question, in perpetuity.

12                   CHAIRPERSON GRAHAM: Mr. Sweetnam?

13                   MR. SWEETNAM: Albert Sweetnam for  
14 the record.

15                   As we indicated, I think it was,  
16 yesterday evening, we would carefully go through an  
17 ageing management cycle with regards to the waste  
18 that was stored onsite, and we would ensure that if  
19 any of the containers, the dry cask, that store the  
20 waste deteriorated in any way, they would be  
21 unloaded and reloaded into new dry casks. And this  
22 would continue on in perpetuity.

23                   CHAIRPERSON GRAHAM: Thank you.

24                   And with that, Ms. Tilman, and,  
25 Dr. Albright, thank you very much for coming

1 tonight.

2 Thank you for your presentation.

3 We will now move into the second presenter of the  
4 evening or intervenor of the evening, who is Angela  
5 Bischoff, and it's under PMD 11-P1.120.

6 MS. BISCHOFF: I can just step in?

7 CHAIRPERSON GRAHAM: Good evening.

8 MS. BISCHOFF: Thank you.

9 CHAIRPERSON GRAHAM: The floor is  
10 yours.

11 --- PRESENTATION BY MS. BISCHOFF:

12 MS. BISCHOFF: Good evening, and  
13 thank you to all the panel and participants in the  
14 audience, and to our online viewers. Thank you for  
15 hearing my presentation today.

16 My name is Angela Bischoff, I work  
17 with the Ontario Clean Air Alliance. We are a  
18 coalition of health and environmental  
19 organizations; save the communities,  
20 municipalities, utilities, unions, corporations and  
21 individuals working for cleaner air through a coal  
22 phase-out and a shift to a renewable energy future.

23 I organized an event last night at  
24 a club in downtown Toronto called Nuclear in the  
25 Spotlight. One hundred people came out to learn

1 what's happening now in Fukushima, to share our  
2 fears, and quite literally to celebrate the end of  
3 the nuclear age.

4                                 We learned about how the industry  
5 and governments lied to us following the Chernobyl  
6 catastrophe, and how they're downplaying the risks  
7 associated with Fukushima. We learned about the  
8 contamination of the Pacific Ocean bordering Japan,  
9 and how there is no safe dosage of radiation,  
10 meaning that supposedly diluting toxic radioactive  
11 elements in the ocean or in the atmosphere is of no  
12 consolation. And we learned that private investors  
13 worldwide are pulling their investments out of  
14 nuclear projects. And governments around the world  
15 are now questioning their continued massive  
16 subsidization of new nuclear projects.

17                                 Meanwhile, here in Ontario, our  
18 government continues in its dogged commitment for  
19 50 percent nuclear, which of course means that  
20 green technologies will be relegated to the  
21 sidelines, capped. There will be little place on  
22 the grid for renewables to grow. This would  
23 explain why there's been no public assessment of  
24 alternatives to the proposed Darlington new build  
25 project. Politics is trumping precaution and

1 economics.

2                                   Usually an environmental  
3 assessments, need and alternatives are included in  
4 the process, but not here. I find this  
5 unacceptable. With that I'm going to proceed to  
6 speak to issues of cost and alternatives. I will  
7 assert that this project is not about providing  
8 Ontarians with cost effective, clean, electricity  
9 supply, but rather it's a desperate attempt to save  
10 Canada's nuclear industry.

11                                   First to project costs. In the  
12 '60s through the '90s, Ontario Hydro's profits from  
13 its water and fossil power generating stations  
14 subsidized the losses of its nuclear reactors. In  
15 fact, the cost of producing nuclear electricity was  
16 seven times that of producing water power. In '99,  
17 as a result of the cost overruns and poor  
18 performance of its nuclear reactors, Ontario Hydro  
19 was broken up into five companies. All of its  
20 generation assets were transferred to OPG.  
21 However, in order to keep OPG solvent, \$19.4  
22 billion of Ontario Hydro's debt or unfunded  
23 liabilities associated with electricity generation  
24 facilities, was transferred to Ontario Electricity  
25 Financial Corporation and Agency of the Government

1 of Ontario, as stranded debt or unfunded liability.

2                                 Since '99, Ontario consumers and  
3 taxpayers have paid almost 20 billion to service  
4 that debt of 19.4 billion, yet we still owe 15  
5 billion. So this is not proven a good financial  
6 investment.

7                                 OPG is now proposing to rebuild  
8 reactors at its Darlington Nuclear Station.  
9 According to OPG the Darlington rebuild will have a  
10 capital cost of 8.5 to \$14 billion, but every  
11 nuclear -- every nuclear project in Ontario's  
12 history has gone over budget. On average the real  
13 costs of Ontario's nuclear projects have been 2.5  
14 times greater than the original cost estimates.  
15 Therefore if history repeats itself, the real cost  
16 of the Darlington rebuild will be 21 to \$35  
17 billion, or 19 to 37 cents per kilowatt hour.

18                                 Furthermore, and the reason of  
19 these hearings, of course, the cost of the proposed  
20 new build projects at Darlington came in at 26  
21 billion for two reactors. Now we're looking at  
22 potentially four. This gave the energy minister  
23 sticker shock, and the procurement process was  
24 postponed.

25                                 The provincial government then

1 passed the buck to the federal government, asking  
2 them for subsidies. In other words, Premier  
3 McGuinty is asking taxpayers in Vancouver and  
4 Halifax to subsidize new nuclear reactors in  
5 Ontario. To their credit, the Harper government  
6 hasn't budged on this request. Indeed they've  
7 taken it a step further and put AECL up for sale,  
8 of which there are no bidders. The future of AECL  
9 is at stake with this new build project. And  
10 that's why I say politics is trumping precaution.

11                               So I'd like to look at  
12 alternatives now. Fortunately there are numerous  
13 less costly, less risky, and more sustainable ways  
14 to meet our electricity needs. By reducing our  
15 demand for grid supplied electricity, energy  
16 efficiency investments will make it easier for us  
17 to obtain 100 percent of our grid supplied  
18 electricity from renewable sources.

19                               Since the summer of '06, our peak  
20 demand for electricity has fallen by 7 percent, and  
21 is forecast to fall by a further 6 percent in 2011.  
22 Nevertheless, our electricity consumption per  
23 person is 35 percent higher than New York State's,  
24 and therefore we still have a huge untapped energy  
25 efficiency potential, which we must aggressively

1 pursue. At a cost of 2.3 to 4.6 cents per kilowatt  
2 hour, energy conservation and efficiency are a  
3 bargain.

4                               On the supply side, the lowest  
5 cost option to meet our electricity needs is to  
6 simply stop wasting natural gas. Virtually every  
7 home, building and factory in Ontario uses natural  
8 gas to provide just one service, namely heat. It  
9 is much more efficient to use these same molecules  
10 of natural gas to simultaneously produce two  
11 services, heat and electricity. This is what  
12 combined heat and power plants do.

13                              Combined heat and power plants can  
14 have an overall energy efficiency of 80 to 90  
15 percent as compared to 33 percent for a nuclear  
16 reactor, and as a result of their very high  
17 efficiency, combined heat and power plants can meet  
18 our electricity needs at a cost of approximately 6  
19 cents per kilowatt hour. That is less than a third  
20 the cost of a new or rebuilt nuclear reactor.

21                              In terms of renewable electricity,  
22 Ontario's lowest cost source of renewable  
23 electricity is water imports from the province of  
24 Quebec. Last year Hydro Quebec's exports to the US  
25 exceeded the total output of our Pickering Nuclear

1 Generating Station, however our inputs from Quebec  
2 were miniscule. And this just doesn't make sense.

3                   Now, there's two important facts  
4 to note with respect to Hydro Quebec's electricity  
5 exports. First, in 2009, the average price of  
6 Quebec's export sales was 6.5 percent -- or sorry,  
7 6.5 cents per kilowatt hour. Second, according to  
8 the *National Energy Board Act* Ontario has the right  
9 to import electricity from Quebec at the same price  
10 that the Americans are now paying, therefore it  
11 doesn't make sense to invest tens of billions of  
12 dollars in nuclear power, when we can import  
13 renewable electricity from Quebec at less than one-  
14 third the cost.

15                   I'd like to draw your attention to  
16 a report that I circulated previously to you all.  
17 It's called *Powerful Options: A Review of*  
18 *Ontario's Options for Replacing Aging Nuclear*  
19 *Plants*. And it is a report that our organization,  
20 the Ontario Clean Air Alliance, produced. It's  
21 from 2009.

22                   So what we -- what we came up with  
23 here is -- so what we're discussing is that over  
24 the next 12 years Ontario needs to replace 60  
25 billion kilowatt hours of electricity produced by

1 nuclear generators that will reach the end of their  
2 productive lives in the next decade. So we need to  
3 replace that electricity by 2021.

4                               So we analysed how we could  
5 replace that 60 billion kilowatts of hour. What we  
6 came up with is that by reducing or decreasing our  
7 electricity demand through conservation and  
8 efficiency efforts, we could eliminate the need to  
9 replace 47 percent of that nuclear power generation  
10 that will have reached the end of its service life  
11 by 2021. So we could achieve half of that  
12 generation just through conservation.

13                              Then we're proposing wind power  
14 integrated with Hydro Quebec's water power, so that  
15 would produce a base load power. So wind power  
16 integrated with Hydro Quebec's hydroelectricity  
17 generate -- hydroelectric generation resources has  
18 the potential to provide Ontario with sufficient,  
19 firm, reliable, renewable electricity to replace  
20 100 percent of the end of service life nuclear  
21 power generation by 2021.

22                              And finally, natural gas combined  
23 heat and power plants, they could also provide 100  
24 percent of our required replacement power by 2021.  
25 So there are many options, plentiful, and they're

1 all much cheaper as I stated earlier.

2 Combined heat and power was 6  
3 cents a kilowatt hour, water and wind combined was  
4 9 to 13 cents a kilowatt hour, and new nuclear at  
5 this point stands at about 21 cents per kilowatt  
6 hour.

7 So we have plenty of alternative  
8 ways to meet our -- our electrical needs without  
9 building new nuclear plants.

10 So to conclude, if approved, this  
11 nuclear new build project will lock Ontario into  
12 nuclear relied -- nuclear reliance for decades  
13 denying us the swift and necessary transition to  
14 the renewable energy age that this era of climate  
15 change and declining resources demands.

16 The proposed project should not  
17 proceed without a full public review and assessment  
18 of all project costs against other energy options.  
19 And for all these reasons, I request that OPG's  
20 proposal to build additional reactors at the  
21 Darlington site be rejected. Thank you all for  
22 your time.

23 CHAIRPERSON GRAHAM: Thank you,  
24 Ms. Bischoff. We will now go to questions from the  
25 floor -- or from the panel, I should say, pardon

1 me. And, Madame Beaudet.

2 --- QUESTIONS BY THE PANEL:

3 MEMBER BEAUDET: Thank you, Mr.  
4 Chairman.

5 We had last week the Deputy  
6 Minister of the Ministry of Energy, and he has  
7 explained some of the constraints they have in  
8 changing the policy with respect to the base load  
9 and other needs that can, as you mentioned, be  
10 compensated for peak hours, for instance, from  
11 natural gas.

12 The input from Quebec, because the  
13 interconnection didn't exist, now it is completed  
14 and this is a new -- I can't find the word in  
15 English here -- "une nouvelle donne". It's a new  
16 addition to what you had when the consultation was  
17 done on the mix plan.

18 We've seen this proposal in many  
19 of the submissions, especially the written  
20 submissions, and I'd like to know -- I don't know  
21 if you took part in the consultation initially with  
22 the long-term energy plan, if the import of power  
23 from Quebec was discussed at that time?

24 MS. BISCHOFF: I'm sorry. I  
25 wasn't participating in that at the time, and I

1 really don't know.

2 MEMBER BEAUDET: Okay. I thought  
3 you'd say I'm too young.

4 MS. BISCHOFF: I'd be happy to  
5 find out for you.

6 MEMBER BEAUDET: Yes, please.

7 CHAIRPERSON GRAHAM: Is that an  
8 undertaking?

9 MEMBER BEAUDET: Yes, please. I'd  
10 like to have a feeling --

11 CHAIRPERSON GRAHAM: Pardon me,  
12 Madame Beaudet, that would have to be an  
13 Undertaking Number 46 -- 47, and that will be for  
14 Ms. Bischoff to provide the information.

15 When could you have that for?

16 MS. BISCHOFF: I think I could  
17 have that tomorrow.

18 CHAIRPERSON GRAHAM: Okay. If you  
19 could supply that to the secretariat --

20 MS. BISCHOFF: Mhmm.

21 CHAIRPERSON GRAHAM: -- and we'll  
22 put it on the agenda, then, as an item for the next  
23 day, which is Saturday and see if -- and if not,  
24 then just to give you that extra day.

25 MS. BISCHOFF: Okay.

1 CHAIRPERSON GRAHAM: Okay.

2 MEMBER BEAUDET: If it was  
3 proposed by the government, we can check on the  
4 internet on their site, but what I would like to  
5 know, if the groups that did participate suggested  
6 such an option?

7 MS. BISCHOFF: My -- our group,  
8 the Ontario Clean Air Alliance, has been  
9 participating all along in those proceedings.

10 MEMBER BEAUDET: Okay.

11 MS. BISCHOFF: So the Chair of my  
12 alliance would -- would know the answer. That's  
13 why I know I can provide it tomorrow.

14 MEMBER BEAUDET: Very good. The  
15 other point is you -- of course you talk a lot  
16 about costs and cost overruns and we've had many,  
17 many submissions on this subject, and I'd like --  
18 we did discuss with the Ontario Power Generation  
19 the subject a few days ago, and you did provide  
20 what the cost overrun history was for Darlington.

21 We have in the appendix to this  
22 submission here a document called the Darlington  
23 Rebuild Consumer Protection Plan, and on page --  
24 hmm, no page. In the appendix A, there's a table  
25 there that illustrates the -- Ontario's history of

1 nuclear cost overruns.

2                                 Now, what I'd -- I'd like to know  
3 is whenever there's some overrun, I mean, I'm  
4 pretty sure your corporation, you do the post-  
5 mortem of what has happened, I'd like to know, what  
6 is the percentage in the overruns when you -- you  
7 choose, for instance, a technology. When you come  
8 -- you design units, what is accountable to -- to  
9 the vendor that, you know, he will tell you -- you  
10 -- he can do anything. I mean, he can have his  
11 compliance to the regulations, but of course it's  
12 always an added cost.

13                                 And I think it would be  
14 interesting to see what is the percentage of the  
15 amount in the overrun cost that can be allocated to  
16 all the different standards and regulations that  
17 you have to follow. I don't know if you can look  
18 at that, but I'm sure when -- you know, in the  
19 debriefings, you must sort of have an idea of why  
20 this project or that project costs so much.

21                                 I know you did explain that  
22 sometimes political decisions have taken -- is a  
23 factor because, you know, the decision has to --  
24 has made you wait and then, you know, you lose your  
25 team, et cetera, but just to know, what is the cost

1 or the overrun cost if you have -- there has to be  
2 some addition to the proposal that you first  
3 received, that the government has given you to  
4 build.

5                   The other thing is I'd like to  
6 know also if the retrofits would be accountable in  
7 what you call cost overruns.

8                   MR. SWEETNAM: Albert Sweetnam for  
9 the record. I'll address the last part of the  
10 question first, retrofits. Retrofits would not be  
11 part of -- of overruns. They would be addressed  
12 through operations, normal operations. As we  
13 address the requirements of the regulators, those  
14 regulations change. That would be carried as part  
15 of the operational budget.

16                   If you -- if you're designing a  
17 new plant, it's -- since one hasn't been done  
18 recently, it would be quite difficult for us to be  
19 able to say what changes as a result of regulations  
20 would be associated with overruns. We have those  
21 numbers for Darlington. If you're interested in  
22 those, I can provide a percentage of what  
23 percentage of the Darlington overrun was  
24 attributable to changes made by the regulator if  
25 that's of interest to you.

1                   MEMBER BEAUDET: Yes. And I think  
2 one example, for instance, if -- I think that  
3 there's one reactor design that doesn't meet the  
4 500 metre limit, and then I think it's 105 metres,  
5 and, of course, they have to design the plan to  
6 make it to 500. Would such a requirement be -- the  
7 costs be allocated to you, or would it have to be  
8 on the -- the burden on the vendor?

9                   MR. SWEETNAM: Albert Sweetnam for  
10 the record. Any requirement to meet something that  
11 we already know, so a known regulation, a known  
12 commitment to the CEAA, a known commitment in the  
13 license to prepare a site would be encompassed in  
14 the overall contract and would be the  
15 responsibility of the vendor. Anything that's new  
16 that comes up after we sign a contract would be the  
17 government's responsibility or OPG's responsibility  
18 and would contribute to an overrun out of the --  
19 would eat apart of the contingency that we've  
20 allowed within the contract.

21                   MEMBER BEAUDET: Thank you. Thank  
22 you, Mr. Chairman.

23                   CHAIRPERSON GRAHAM: Just for  
24 clarification, Madam Beaudet, do you want an  
25 undertaking for the -- that Mr.

1 Sweetnam -- okay.

2 That would be Undertaking number  
3 48 from OPG. Timeframe, please?

4 MR. SWEETNAM: Albert Sweetnam,  
5 for the record.

6 Would Monday be acceptable?

7 CHAIRPERSON GRAHAM: Yes, indicate  
8 that Monday would be satisfactory.

9 Very good.

10 Mr. Pereira?

11 MEMBER PEREIRA: Thank you, Mr.

12 Chairman. Just one question. In your  
13 presentation, you talked about a number of  
14 alternatives, and is my understanding correct that  
15 you're talking about the combination of  
16 conservation, gas with combined heat and power and  
17 imports from Quebec, hydroelectric power and wind?  
18 Would that be --

19 MS. BISCHOFF: Yeah, that's what  
20 we're proposing.

21 MEMBER BEAUDET: That would be the  
22 mix -- thank you.

23 CHAIRPERSON GRAHAM: I just have  
24 one question, and it's in your present -- in your  
25 presentation. You had mentioned with regard to

1 natural gas and we had some figures that natural  
2 gas did produce some environmental effects. Do you  
3 still support the use of natural gas versus other  
4 types of energy-producing methods?

5 MS. BISCHOFF: We support CHB as a  
6 transition fuel to 100 percent renewable  
7 electricity grid, so we're proposing --

8 CHAIRPERSON GRAHAM: As a  
9 transition fuel; that's what you're saying?

10 MS. BISCHOFF: Yeah.

11 CHAIRPERSON GRAHAM: Okay. Thank  
12 you. All right, we will now go to the floor and  
13 the first on the floor is going to be OPG. Do you  
14 have any questions to Ms. Bischoff?

15 MR. SWEETNAM: Albert Sweetnam for  
16 the record. No questions, but just two  
17 clarifications. And the intervenors talked about  
18 the energy mix for Ontario, I'm not going to speak  
19 to that. I'll only speak to the new build aspects  
20 of what was said.

21 A couple of numbers that were  
22 thrown out there was -- one was 8.5 to 14 billion  
23 for the rebuilding of the Darlington units. That  
24 is not an accurate number. The number that is  
25 actually being put out into the media is between

1 six and ten billion dollars for the refurbishment  
2 of those four units.

3                   The other thing that was said was  
4 that it would cost 26 billion dollars for two new  
5 units at Darlington. Again, this is a number that  
6 got into the media in 2009 and a couple of days  
7 after it got into the media, there was an immediate  
8 retraction by the procurement arm of the Ontario  
9 Government, Infrastructure Ontario that clearly  
10 stated that this number was incorrect and no number  
11 has ever been provided to the media, so that number  
12 of 26 billion dollars for two new units in Ontario  
13 is an inaccurate and incorrect number.

14                   CHAIRPERSON GRAHAM: Thank you  
15 very much. CNSC, do you have any questions?

16                   DR. THOMPSON: Patsy Thompson. No  
17 questions. Thank you.

18                   CHAIRPERSON GRAHAM: Thank you.  
19 Government -- which there are none. Intervenors, I  
20 understand we have two. We're having some problems  
21 in getting communications back. Ms. McGee, would  
22 you go to the mic and just tell us who you have and  
23 then we'll cut it off at that for tonight, please?

24                   MS. MCGEE: Two questions. The  
25 first from Mr. Kalevar and the second from Ms.

1 Tilman.

2 CHAIRPERSON GRAHAM: Thank you.

3 Mr. Kalevar, you have the first question.

4 --- QUESTIONS BY THE INTERVENORS:

5 MR. KALEVAR: Thank you, Mr.

6 Chairman. Chai Kalevar from Just One World. My  
7 question is through you to the presenter. We just  
8 heard that the four nuclear plants in Japan have  
9 been decommissioned after their meltdown.

10 Would you prefer that Ontario  
11 decommission its plants after or before meltdown?

12 CHAIRPERSON GRAHAM: Would you  
13 turn on the mic and identify yourself if you are  
14 answering that?

15 MS. BISCHOFF: Do I press this?

16 CHAIRPERSON GRAHAM: Yes.

17 MS. BISCHOFF: Angela Bischoff  
18 through the Chair to Mr. Kalevar.

19 I would prefer that they shut them  
20 all down now -- well, actually what I would prefer  
21 is that they close them down when they come to the  
22 end of their useful lives and replace them with  
23 integrated combination of renewables, CHP and  
24 energy efficiency.

25 CHAIRPERSON GRAHAM: Thank you for

1 that. Ms. Tilman, you have the other question.

2 MS. TILMAN: My question actually  
3 is to OPG on the costs. I'm not sure what the  
4 costs are. I have not seen any protective figure,  
5 but there was an article in the Globe's business  
6 section that due to the issues at Fukushima, more  
7 safety measures would have to be put into the  
8 proposed -- any new reactors.

9 And I wonder if OPG has been busy  
10 trying to at least figure out what to expect in the  
11 future because we're riddled with the costs still  
12 from Darlington?

13 CHAIRPERSON GRAHAM: OPG, do you  
14 want to respond?

15 MR. SWEETNAM: Albert Sweetnam for  
16 the record. It's much too early in the situation  
17 that's evolving in Japan to determine what the  
18 lessons learned will be. OPG is fully tied into  
19 the international network associated with nuclear  
20 operators. And as time progresses, we will learn  
21 from whatever lessons have been learned in Japan.

22 And if the industry feels that  
23 there are certain things that need to be done to  
24 plans to improve the safety, we will do this in  
25 conjunction with the CNSC. Again, keeping safety

1 to the public and safety to the workers is our  
2 foremost priority.

3 CHAIRPERSON GRAHAM: Thank you.  
4 And with that, Ms. Bischoff, thank you very much  
5 for coming tonight and giving us your views and  
6 your intervention.

7 MS. BISCHOFF: Thank you.

8 CHAIRPERSON GRAHAM: We now have  
9 the next participant is -- who's registered to make  
10 an oral statement and only Panel members will be  
11 able to ask questions of the oral statement. And  
12 that person is Ms. Lister -- Lester, I'm sorry.  
13 And, Ms. Lester, the floor is yours.

14 --- PRESENTATION BY MS. LESTER:

15 MS. LESTER: Greetings. Here we  
16 go. Greetings to the Panel and to the audience  
17 members. My name is Carrie Lester from Toronto. I  
18 am Ogemawahj, which is the Bearfoot Onondaga from  
19 Six Nations.

20 In regards to nuclear energy, as  
21 simply a human being on this planet, my Mother  
22 Earth, your Mother Earth, I'm going to address the  
23 burden of truth as it applies to our health, all of  
24 our health.

25 So my health, the health of my

1 family and friends, the health of your relations  
2 and my relations; the health of the soil, the air,  
3 the water in and around Lake Ontario where I live,  
4 where my ancestors on my mother's side have lived  
5 for thousands of years.

6 (SPEAKING IN NATIVE LANGUAGE)

7 That is my name, my clan and my  
8 nation.

9 There was a time when there was no  
10 cancer here, no cancer sickness here on Turtle  
11 Island. It arrived with the settling of the  
12 newcomers and their need to do things faster and  
13 better and more efficiently, but this thinking was  
14 attached from the connection to Mother Earth.

15 With the continued  
16 industrialization of this land as it was being  
17 practiced on the other side of the world. Toxic  
18 waste has infiltrated our world from so many  
19 different sources, that we here in an urban setting  
20 find it difficult to be able to pinpoint exactly  
21 where each industrial toxin has come from and what  
22 each toxin will do to us.

23 However the people from places  
24 like Fort Chipewyan, Alberta, they know exactly  
25 where their cancerous poisons are coming from and

1 we know that is the tar sands.

2                                 Recently I attended a funeral --  
3 well, no, not one funeral, it was two funerals in  
4 one day for friends of mine who I had got to know  
5 through my children, through their school and their  
6 after-school activities.

7                                 And after attending both funerals,  
8 I discovered that there were two other funerals  
9 that very same day from the same neighbourhood.

10                                I also learned of three other  
11 deaths of parents who I'd only known briefly  
12 before, but who had also died recently within those  
13 past two years. And all of them were parents in  
14 their late forties and early fifties, my age. And  
15 their children were in their late teens and early  
16 twenties. They had all died from cancer.

17                                They had all raised their families  
18 in the same neighbourhood for those 20 years. This  
19 was not in Clarington or Bowmanville or Darlington.  
20 It was in Toronto. And it had become an industrial  
21 -- an industrial -- well, an industrial area during  
22 the Second World War, but since then had become a  
23 rather prestigious neighbourhood with many teardown  
24 bungalows and two-storey million-dollar homes.



1 hope for a cure to come this year so that nobody  
2 else has to die from cancer, from how she had seen  
3 her mother's body ravaged with this cancer. And  
4 she posted that to all her contacts on her  
5 Facebook.

6                                 But I responded by saying, "Well,  
7 it's -- it's not so much that a cure is needed,  
8 although that would be nice. It's that we must  
9 stop the lifestyle that's producing this cancer."  
10 We've contaminated our mother earth so horribly in  
11 these 150 or so years of the billions of years that  
12 this world has been in existence.

13                                 The industrial, chemical,  
14 technological revolutions have got us to this  
15 point. The toxins are everywhere now, but not just  
16 in our water, in our air and the land. And the  
17 cosmetics that we buy to put on our skin, the  
18 hygiene products, our clothes, our bedding, paints,  
19 plastics, toys, baby products, et cetera, a cure  
20 will not take away these toxins burdening our  
21 bodies.

22                                 So this was the point in which in  
23 my talk I was going to list a series of facts about  
24 the nuclear industry, but that's all been done.  
25 There's more brilliant experts that you've listened

1 to this past week and a half and that you will be  
2 listening to. I'm not an expert. I don't have all  
3 the stats in my head.

4 I was going to talk about, as was  
5 talked about many times tonight, radiation and  
6 ionizing radiation being a carcinogen, meaning that  
7 it damages our DNA; that Tritium is a radioactive  
8 isotope of hydrogen and is a waste product in the  
9 nuclear industry; and Canada's allowable levels for  
10 Tritium are quite a bit higher than in other  
11 countries and it's like 7,000 becquerels compared  
12 to 100 becquerels in the -- in the E.U. and 740  
13 becquerels per litre in the U.S.A., but all those  
14 things, as I said, you already know. You have your  
15 own panel of dispassionate, according to me,  
16 engineering experts. And you've been hearing from  
17 the passionate public for this past week and a  
18 half, individuals like myself and non-governmental  
19 organizations who just want to see -- want you to  
20 -- sorry -- who just want you all to see where all  
21 of this horrible experiment has gone wrong. It  
22 doesn't matter how many allowable becquerels or  
23 millisieverts of this or that is in our water or  
24 air or our soil. What matters is that we just stop

1 putting it there. There is no safe allowable level  
2 of radiation, period.

3                   We've been contaminating our  
4 mother earth with this cancerous element ever since  
5 engineers and physicists first learned how to split  
6 that atom. And what was it the experts said at the  
7 time when they saw what they had done? And to  
8 quote from Paul MacKay's book called "Atomic  
9 Accomplice, "Einstein said that the unleashed atom  
10 has changed everything, save our mode of thinking  
11 and, thus, we drift toward unparalleled  
12 catastrophe." And Oppenheimer had said, "Now, I  
13 become deaf, shatterer of worlds," and his  
14 munitions expert who wired the detonators for the  
15 trinity bomb said, "Now, we're all just sons of  
16 bitches."

17                   So what should I talk about here  
18 instead, instead of these facts and figures? Well,  
19 how about we move on from here? How about as  
20 Angela was talking about and many others, that we  
21 move our direction and discussion toward how much  
22 radiation are we willing to subsidize and its  
23 industry that will contaminate our family and  
24 friends with -- that it will contaminate our family  
25 and friends with to a -- to a lifestyle without

1 consequences -- or sorry -- with such consequences?  
2 How about if we talk about renewable energy sources  
3 and reducing our consumption of energy and becoming  
4 more energy efficient?

5                               We are creative, brilliant beings.  
6 We can do this. We don't have to destroy our  
7 mother earth in the process. People have come up  
8 with plans to have 100 percent renewable energy  
9 grid by the year 2027 and that's probably about the  
10 time a brand new reactor would take to be built and  
11 be up and running, but it would be far less costly  
12 in financial costs and in the cost of living  
13 organisms.

14                               So who are all these people?  
15 Well, as I said, Angela from the OCAA, the Ontario  
16 Clean Air Alliance; people from Greenpeace; from  
17 the Pembina Institute. We have this technology.  
18 We have the creativity to combine all these  
19 different energy systems; solar, wind, combined  
20 heat and power, our own hydroelectric, plus imports  
21 from Quebec.

22                               I work at a school, an elementary  
23 school. I'm a special needs assistant. And when I  
24 sit in on the science lessons and the topic comes  
25 to living things in grade 6, the curriculum states

1 that there are living and non-living things, as  
2 biotic and abiotic, and this is what they teach the  
3 children, and that's the problem.

4                   Indigenous cultures around mother  
5 earth state that there are no non-living things.  
6 Everything has life, everything has spirit. To  
7 think otherwise allows people to disregard the very  
8 soil, air and water of our mother, this planet  
9 earth, and contaminate her and everything on her  
10 and in her and around her. I always point this out  
11 to the students. The students are our future, but  
12 we are their present. And they take direction from  
13 us and trust us to do responsible and ethical  
14 things.

15                   Mother earth is not a static,  
16 stable being. She's continually moving and  
17 reshaping herself. She thrusts and writhes and  
18 twists and, if I may say so, she farts and she  
19 belches and she vomits and that's the volcanoes and  
20 the earthquakes and tsunamis. She needs to breathe  
21 and stretch and grow. Confining her in cement and  
22 asphalt, drilling into her to remove her organs and  
23 her blood and her oils and lubricants is the death  
24 of us all. She is fighting back at our brainless  
25 and thoughtless control that we've -- that too many

1 of us thought we had over her. She quakes and  
2 trembles continuously all over.

3                   A large seismic eruption may not  
4 happen here in ten or 20 or even 50 years. It may  
5 take a hundred, 200, 500, but this radioactive  
6 waste is here forever and it is a ticking time  
7 bomb. Even if we stop using nuclear energy all  
8 over the world right now, we still have the  
9 horrible effects of what we have built up so far,  
10 the thousands of tons of radioactive contamination  
11 that have been stored at over the 500 or so nuclear  
12 plants around the world, and that's still a  
13 problem. It wouldn't take much for those  
14 containers to be breached by any number of mother  
15 earth's bodily functions, not to mention the decay  
16 of the containers themselves over time.

17                   Nuclear energy is a dangerous and  
18 expensive way to boil water and to generate steam.  
19 We need to wake up and stop this nonsense, stop  
20 funding the destruction of our planet, stop funding  
21 the death of your family and your friends and your  
22 ancestors. Thank you.

23                   CHAIRPERSON GRAHAM: Thank you  
24 very much, Ms. Lester. We will now proceed to  
25 questions and only questions from the panel

1 members. No other questions are permitted  
2 according to the rules and, Mr. Pereira, do you  
3 have a question?

4 MEMBER PEREIRA: No, thank you for  
5 your presentation. I don't have any questions.

6 CHAIRPERSON GRAHAM: Thank you,  
7 Mr. Pereira. Madam Beaudet?

8 MEMBER BEAUDET: Thank you very  
9 much for your presentation. I have no questions.

10 CHAIRPERSON GRAHAM: I thank you  
11 also for coming and giving your sincere oral  
12 presentation and wish you a safe trip back to your  
13 home. With that I'm going to declare a 15-minute  
14 break and the chair will resume at nine o'clock  
15 according to that clock, and about 9:02 according  
16 to mine. So nine o'clock according to this.

17 ---Upon recessing at 20:48 p.m.

18 ---Upon resuming at 21:02 p.m.

19 CHAIRPERSON GRAHAM: Good evening,  
20 ladies and gentlemen, again. Welcome back.  
21 Everyone take their seats. Just a couple of  
22 procedural announcements. We only are going to  
23 have one more presentation tonight and that is  
24 Janet McNeill. And before I welcome Janet or Ms.  
25 McNeill, I want to say that the Rabinovitch

1 presentation under PMD 11-P1.194 will not be  
2 tonight. I don't think that presenter is here and  
3 the other one being done by telephone conference  
4 will also be rescheduled and that's 1.189 from  
5 Nuclear Information and Resource Services. So  
6 we'll only do the one more and that is being  
7 presented tonight by Janet McNeill under PMD 11-  
8 P1.171. Ms. McNeill the floor is yours and  
9 welcome.

10 --- PRESENTATION BY MS. McNEILL:

11 MS. McNEILL: Okay. I'm not very  
12 good with microphones so is this okay? Okay.  
13 First of all I kind of want to say that I don't  
14 feel as though I have anything to say after the  
15 previous presentation because she expressed very  
16 eloquently a lot of what I believe and feel, but I  
17 went to all this trouble so I'll go ahead and say  
18 what I have to say.

19 Members of the Joint Review Panel,  
20 OPG and CNSC staff and fellow members of the  
21 public. I appreciate the opportunity to make this  
22 presentation to the Darlington new build Joint  
23 Review Panel. As I laid out in the outline I  
24 submitted in February, my presentation will consist  
25 of the following: Introductory remarks; comments

1 on the limitations of the review process; comments  
2 on projected costs and overall economics of this  
3 project; nuclear fuel chain issues and  
4 implications, issues of public trust and concluding  
5 remarks.

6                                   One, introductory remarks. I've  
7 been an environmental activist for more than 20  
8 years now. I'm also a former long-time resident of  
9 Durham Region and spent most of my life -- my adult  
10 life in Durham Region and the Greater Toronto Area.  
11 It was never my intent to become involved in  
12 nuclear issues and I'll explain in a moment why I  
13 did.

14                                   Most of my years of activism have  
15 been focused on waste, pesticides, cancer  
16 prevention and climate change initiatives. It's  
17 relevant that I am a mother. Concern for my  
18 children's future began even before they were born  
19 naturally enough and the threats to their futures  
20 seem to have multiplied exponentially.

21                                   Now that they are adults who might  
22 like to have children of their own one day, I have  
23 the motivation to keep on working on environmental  
24 issues, even though sometimes I'd like to just stop  
25 and pull the covers over my head the way so many

1 ordinary people seem to do.

2 I've been thinking for a couple of  
3 days now about panel member, Madam Beaudet's  
4 question to Mark Mattson, Lake Ontario  
5 Waterkeeper's president, about reaching ordinary  
6 people in this process. For sure I am one of the  
7 ordinary people in the sense that unlike to many of  
8 my brilliant colleagues who have spoken at this  
9 hearing, I'm not a technical person. I don't  
10 really have a clue how nuclear energy and nuclear  
11 power plants work. I'm not scientifically-minded  
12 and I'm not mathematically-minded either. I could  
13 never engage with an engineer about technical  
14 matters involving reactors and most of the CNSC  
15 staff could silence me pretty quickly with their  
16 jargon. I know this.

17 But here's the thing, although I'm  
18 not technical I do have an ear for language and I  
19 can still see pretty well. I can often tell when  
20 I'm being deceived and I can spot when an emperor  
21 isn't wearing any clothes. I often recall that  
22 Jane Jacobs, internationally known for her work on  
23 urban issues, once said:

24 *"Always be prepared to*  
25 *believe that experts are*

1                                   *stupid. They very often*  
2                                   *are."*

3                                   I'm a big believer in telling the  
4 truth and in drawing attention to elephants in the  
5 room. This doesn't always make me popular of  
6 course. Sometimes we humans are pretty invested in  
7 leaving those elephants alone, whether on big scary  
8 matters like nuclear energy or the small ones in  
9 our personal lives. As regards telling the truth,  
10 I recalled that Maggie Kuhn, founder of the Gray  
11 Panthers, once said, "*Speak your mind even when*  
12 *your voice shakes,*" so that's what I'm trying to  
13 do. Sometimes my voice does shake -- I had written  
14 in here, it may very well be shaking now, but I'm  
15 doing okay, I think.

16                                   But if we human beings are going  
17 to keep on living on this planet, something I'm  
18 less and less convinced is going to be possible in  
19 the long term, I think more and more of us are  
20 going to need to start telling the truth.

21                                   Now, as to how and why I became  
22 involved in nuclear issues. After 24 years in  
23 Durham Region I moved to Deep River for six years.  
24 Friends I made in Renfrew Country told me about the  
25 little company in Pembroke that makes glow in the

1 dark products using tritium from CANDU reactors.  
2 The things I learned about the tritium pollution in  
3 air and groundwater in Pembroke shocked me deeply.  
4 That's what motivated me to start attending  
5 Canadian Nuclear Safety Commission hearings. It's  
6 been very illuminating.

7                               Two, the limitations of this  
8 review process. The limitations of this process  
9 have been covered quite brilliantly by other  
10 intervenors, Lake Ontario Waterkeeper, Northwatch,  
11 the International Institute of Concern for Public  
12 Health, Green Peace and others.

13                               I would like to call attention to  
14 the document called, "*Public Hearing Procedures.*"  
15 It's this one, no file or document number, that  
16 states in Section 1, "*Background Information,*"  
17 that:

18   "*The proposal is for the site*  
19   *preparation, construction,*  
20   *operation, decommissioning*  
21   *and abandonment of up to four*  
22   *new nuclear reactors.*"

23 Et cetera, et cetera. The use of the word  
24 abandonment certainly sends up a red flag for me.  
25 I'm not sure how we can reasonably talk about

1 abandoning nuclear reactors whose contaminants and  
2 waste will remain radioactive and dangerous for  
3 thousands and thousands of years. As far as I'm  
4 aware, the nuclear industry has no real experience  
5 in the safe decommissioning of used up nuclear  
6 plants. The use of the word abandonment is a bit  
7 shocking to me for sure.

8                   In Section 2 of that same  
9 document, under roll of the panel, it refers to  
10 this environmental assessment of the complete  
11 lifecycle of the project. Again, I'm not sure how  
12 we can be properly said to assess the complete  
13 lifestyle of a -- lifecycle of a project whose  
14 carrying out involves the creation of dangerous  
15 wastes that will remain dangerous, not just for my  
16 grandchildren's grandchildren, but for their  
17 grandchildren's grandchildren's grandchildren and  
18 perhaps well beyond that. It seems a little  
19 preposterous then to me to make this claim about  
20 the lifecycle of the project.

21                   There are other aspects of this  
22 plan for new nuclear reactors that I have trouble  
23 buying into, bounding scenarios, multiple  
24 technology approach, credible accident scenarios.  
25 The language all sounds more than a little absurd

1 to me. It sounds like fancy jargon that intends  
2 not to illuminate or tell the truth, but to do  
3 quite the opposite, to cover up and obscure the  
4 truth.

5 I doubt very much that the BP oil  
6 spill or the current nuclear crisis in Japan would  
7 be classified as credible accident scenarios.  
8 Unfortunately, that doesn't mean they didn't  
9 happen. As one of the Aboriginal speakers said on  
10 Monday, the unthinkable does indeed happen.

11 I felt quite often during this  
12 hearing process that Alice in the story of *Alice in*  
13 *Wonderland*, I must have fallen down a rabbit hole.  
14 Some of the testimony I hear puts me in mind of the  
15 Mad Hatter's tea party. OPG testimony on Tuesday  
16 about their ability to safeguard dangerous nuclear  
17 wastes for hundreds of thousands of years is an  
18 excellent case in point. I am not in the slightest  
19 reassured. In fact, OPG's staff members seeming  
20 inability to really get their heads around the  
21 really, really long-term storage challenge is  
22 frankly sobering and even downright scary to me.  
23 The statement was made, "*We are learning as we're*  
24 *going along.*" This is not something that would  
25 reassure the public a great deal I think. I recall

1 that a previous intervenor, Dr. Fairlie, called on  
2 the nuclear industry to demonstrate humility not  
3 hubris at this most extraordinary time considering  
4 the escalating nuclear crisis in Japan. Given the  
5 current nuclear crisis this whole panel experience  
6 seems almost surreal. I doubt that I'm alone in  
7 feeling this sensation.

8                               As for the failure of the process  
9 to properly investigate non-nuclear alternatives,  
10 I'm reminded of Thomas Alva Edison, father of the  
11 light bulb, who said:

12                                       "I'd put my money on the sun  
13                                       and solar energy. What a  
14                                       source of power. I hope we  
15                                       don't have to wait until oil  
16                                       and coal run out before we  
17                                       tackle that."

18                               Of course, Edison very likely had  
19 no idea we'd come up with the madness of nuclear  
20 energy.

21                               3. Comments on the projected costs  
22 and overall economics of this project. Many  
23 intervenors have now made comments on this as  
24 well. I do not recall how many millions of dollars  
25 of over budget the first generation of reactors at

1 Darlington came in at. I do recall that an  
2 engineer friend of mine once said that if the money  
3 spent building the Darlington reactors had been put  
4 into solar panels for all the houses in Durham  
5 Region, Darlington wouldn't have been needed. This  
6 friend is a nuclear engineer, by the way.

7                   How many millions of dollars over  
8 budget are all the current nuclear refurbishment  
9 projects? Some mindboggling number that truly does  
10 boggle the mind so much that we ordinary people lay  
11 it aside almost casually and forget about it.  
12 We've heard it so many times before, and yet it's  
13 genuinely scandalous, really, isn't it.

14                   I also wonder how it is possible  
15 for OPG to give any realistic estimate of the cost  
16 for decommissioning reactors when, from what I  
17 gather, decommissioning nuclear facilities is not  
18 exactly proven technology.

19                   Finally, I want to register my  
20 frustration that if all the money that's been spent  
21 on this project had been put into research and  
22 implementation of conservation and efficiency  
23 measures, which have been known about for decades  
24 now, after all, and renewable energy sources, a  
25 great many more jobs would have been created, and

1 they would be sustainable jobs.

2                   The money that is being spent to  
3 conduct this hearing process would very likely fund  
4 a really efficient environmental non-governmental  
5 organization for years. So much waste of human  
6 energy, psychic potential and our hard-earned tax  
7 dollars, it's enough to make a person weep.

8                   Nuclear fuel chain issues and  
9 implications: I'm aware that you've chosen not to  
10 consider the entire nuclear fuel chain to be an  
11 integral part of your deliberations, but talking  
12 about building new nuclear reactors and failing to  
13 consider the rest of the stages involved is kind of  
14 like saying we're going to undertake to protect  
15 fetus's from fetal alcohol syndrome without  
16 bothering to talk to the fetus's mothers about  
17 giving up drinking.

18                   Dave Kraft, director of Nuclear  
19 Energy Information Service has said,

20                                 "Authorizing construction of  
21                                 new nuclear reactors without  
22                                 first constructing a  
23                                 radioactive waste disposal  
24                                 facility is like authorizing  
25                                 construction of a new Sears

1 Tower without bathrooms."

2 The nuclear fuel chain is very  
3 problematic, to put it very mildly. Human health  
4 and the environment are damaged at every turn. It  
5 is not precautionary at any point, and simply  
6 claiming it is so, will never make it so. The  
7 biggest single problem with the nuclear fuel chain,  
8 it seems to me, is the waste that will be created  
9 and left for future generations to manage. It  
10 seems to me we have a moral duty as human beings to  
11 behave in such a way that future generations will  
12 be possible. A duty many of us are really only  
13 paying lip service to, I'd say.

14 We heard Dr. Caldicott speak last  
15 week about the damage to children in the wake of  
16 the Chernobyl disaster. We all know that there  
17 will be vast damage to the as yet unborn in the  
18 wake of the current Japanese nuclear disaster. I  
19 wonder about the possibility for future generations  
20 to survive at all, considering the overwhelming  
21 burden of nuclear pollution that already exists,  
22 never mind the bizarre notion of creating yet more.

23 We cannot properly deal with the  
24 wastes that have already been created. As has been  
25 pointed out by Mr. Kamps from Beyond Nuclear, 29

1 years after passage of the *Nuclear Waste Policy*  
2 *Act*, 36 years after the repository search began, 54  
3 years into commercial nuclear power, and 69 years  
4 after Fermi first split the atom during the  
5 Manhattan Project, the US still has no safe, sound,  
6 permanent storage plan for high-level nuclear  
7 wastes. Nor, as we all know, does Canada.

8                   In my opinion, put very simply,  
9 nuclear energy is immoral. I believe we have a  
10 moral duty to stop messing with it.

11                   Issues of Public Trust: We know  
12 that the public does not trust the nuclear  
13 industry. We didn't before Chernobyl, and we  
14 haven't since then. We didn't before the accident  
15 in Japan, and of course, we do so even less now.  
16 I'm not sure that this matters much to the nuclear  
17 industry or to our governments. There seem to be  
18 forces at work here that I don't really understand.  
19 I do believe, though, that one problem is an  
20 engineering mindset that is not serving us well.

21                   I've had some interesting  
22 encounters with engineers in the past few years.  
23 Some of them have said things that have blown my  
24 mind. One who used to work at the Chalk River  
25 nuclear facility expressed surprise that it had



1 the articulate First Nations speakers on Monday  
2 said, "No one is listening to us. We have good  
3 reason not to trust the nuclear industry."

4                                   Concluding remarks: I have  
5 amended my remarks since I first wrote them. I was  
6 feeling pretty angry when I wrote my first draft.  
7 Now we have another nuclear disaster and now we  
8 have an opportunity to make this a watershed moment  
9 in human history. It may very well be too late to  
10 save us, but it seems to me we ought to at least  
11 try.

12                                   I haven't done a lot of stints in  
13 the corporate world in my working life. I do still  
14 have a powerful memory of one meeting I was part of  
15 in my last corporate role. I sat looking around  
16 the room at all the very bright and energetic  
17 people who were in the room, and who were really  
18 working their butts off on the project we were  
19 engaged in. Well above and beyond the call of duty  
20 for sure. I thought, holy smokes, wouldn't it be  
21 amazing if we could harness all the energy of all  
22 these brilliant minds to do the things that really  
23 need to be done to fix up the planet.

24                                   And I had been having that thought  
25 again here during the past days of hearings.

1 There's a real us and them mentality at work here.  
2 It's adversarial and it sure doesn't help us solve  
3 problems. Last year I read an amazing book called  
4 *Country of my Skull: Guilt, Sorry, and the Limits*  
5 *of Forgiveness in the New South Africa*, about the  
6 Truth and Reconciliation Commission.

7 I recall from time to time when  
8 I'm not feeling angry about what a mess things are,  
9 and wondering about and blaming who is responsible  
10 for all these messes, that we really are all in  
11 this together, and that keeping on with the us and  
12 them dynamic isn't going to take us anywhere any of  
13 us really want to go. I can't help but wish we'd  
14 use this time now in the wake of this horrendous  
15 Fukushima nuclear disaster to put our minds to a  
16 little truth and reconciliation. Put all our  
17 bright minds together and find solutions, not keep  
18 making more and more problems.

19 I'm terribly naïve, I know that.  
20 We environmental activists are idealists. I guess  
21 somebody has to do it. Einstein, as we all know,  
22 said, "Nuclear power is one hell of a way to boil  
23 water." He also said,  
24 "The world is a dangerous  
25 place to live, not because of

1                   the people who are evil, but  
2                   because of the people who  
3                   don't do anything about it."

4                   Well, I have no expectation that  
5 this panel will actually decide to put a halt to  
6 this project, that is what I very much hope you  
7 will do.

8                   Earlier this week, on Monday,  
9 after I left the day's hearing here, I went down to  
10 the gate at the Darlington generating station where  
11 I looked at the plaque on the monument that was  
12 erected by the Nuclear Awareness Project Group in  
13 1989. The group put a time capsule in the ground  
14 and then put up a monument over top of it. The  
15 plaque reads,

16                                 "In our every deliberation we  
17                                 must consider the impact of  
18                                 our decisions on the next  
19                                 seven generations."

20                                 From the Great Law of the Hau de  
21 no sau nee Six Nations Iroquis Confederacy. This  
22 monument marks the opening of the Darlington  
23 Nuclear Generating Station.

24                                 "We do no inherit the earth  
25                                 from our ancestors. We

1                   borrow it from our children.  
2                   The time capsule contained  
3                   herein shall be opened after  
4                   seven generations in the  
5                   2129."

6                   The capsule contains information  
7 reflecting the debate on nuclear technology.

8                   "Our children shall judge us.  
9                   It is surely so."

10                  Thank you.

11                  CHAIRPERSON GRAHAM: Thank you  
12 very much, Ms. McNeill. I appreciate your  
13 intervention.

14                  And we'll start off with Madam  
15 Beaudet.

16 --- QUESTIONS BY THE PANEL:

17                  MEMBER BEAUDET: Thank you, Mr.  
18 Chairman.

19                  I think the last presentations  
20 were very well done in terms of presenting  
21 opinions.

22                  For us, our work, we listen to  
23 people, but we ask questions usually if there's  
24 clarification to be made.

25                  With respect to your presentation,

1 there's one clarification on my part, not one that  
2 I would require from you, is about, as a panel, why  
3 we didn't look at the mining industry.

4                   When a panel is formed -- and I --  
5 this was brought up also with Greenpeace -- the  
6 guidelines in the agreement have been signed --  
7 have been finalized and signed.

8                   There's a draft agreement and a  
9 draft guidelines that was table -- in 2008. And  
10 the public had a chance for over a period of one  
11 year to comment.

12                   Whatever comments are integrated,  
13 we don't know. We arrive, and everything in this  
14 respect has been decided.

15                   I have no further question.

16                   CHAIRPERSON GRAHAM: Ms. McNeill?

17                   MS. MCNEILL: Well, I think -- I  
18 think Angela Bischoff gave you some excellent --  
19 gave some excellent information.

20                   And I think it's been -- I think  
21 it's been made quite clear that the alternatives  
22 would get us there and that we need to stop this  
23 industry.

24                   Like I said, we've made more waste  
25 than we -- we can't -- we can't deal with what

1 we've already created, so we really can't do  
2 anymore.

3 I would love to leave with you  
4 each a copy of this brochure. This is from the  
5 group Beyond Nuclear. Mr. Kamps was here the other  
6 day.

7 I only actually saw this brochure  
8 this morning for this time and read it on the GO  
9 Train, and I would like to leave copies for whoever  
10 would like -- you know, CNSC staff, the panel, OPG  
11 staff. It's excellent.

12 And that's about all I have to  
13 say.

14 CHAIRPERSON GRAHAM: Thank you.

15 Those -- if you just leave them  
16 with the secretariat at the back, she'll -- the  
17 secretariat will make sure that anyone that wants  
18 them, along with the panel, will get them.

19 Madam Beaudet, do you have  
20 anything else?

21 MEMBER BEAUDET: No, thank you,  
22 Mr. Chairman.

23 CHAIRPERSON GRAHAM: Thank you.

24 Mr. Pereira?

25 MEMBER PEREIRA: No, thank you. I

1 don't have any comments.

2 CHAIRPERSON GRAHAM: Then, OPG, do  
3 you have any comments or questions?

4 MR. SWEETNAM: Albert Sweetnam.  
5 No questions.

6 CHAIRPERSON GRAHAM: CNSC, do you  
7 have any questions?

8 DR. THOMPSON: Patsy Thompson.  
9 Similarly, no questions. Thank  
10 you.

11 CHAIRPERSON GRAHAM: Again, I'll  
12 call on governments, which -- I don't see any.

13 Then we will go to interventions  
14 from the floor.

15 Are there any questions? Any from  
16 the floor?

17 Ms. McGee, do you -- do you have  
18 any?

19 No, you don't have any. Well,  
20 that's fine. Thank you very much.

21 Ms. McNeill, thank you very much  
22 for coming tonight. Thank you for your  
23 intervention and safe travels on your way home.  
24 Thank you very much.

25 With that, as I'd said, the

1 Rabinovitch presentation is not -- the Rabinovitch  
2 presenter is not available.

3                                 And the one by telephone  
4 conference on Nuclear Information and Resource  
5 Services is going to be set over to another date  
6 which will be announced by the Secretariat.

7                                 With that, I would say that we're  
8 going to adjourn to 9:00 a.m. tomorrow morning.

9                                 Thank you very much.

10                                Do you have any comments, co-  
11 manager?

12                                Thank you very much, everyone, for  
13 again spending this evening with us.

14                                Adjourned.

15 --- Upon adjourning at 9:25 p.m./

16         L'audience est ajournée à 21h25

17

18

19

20

21

22

23

24

25

1

2

## C E R T I F I C A T I O N

3

4 I, Alain H. Bureau a certified court reporter in  
5 the Province of Ontario, hereby certify the  
6 foregoing pages to be an accurate transcription of  
7 my notes/records to the best of my skill and  
8 ability, and I so swear.

9

10 Je, Alain H. Bureau, un sténographe officiel dans  
11 la province de l'Ontario, certifie que les pages  
12 ci-hauts sont une transcription conforme de mes  
13 notes/enregistrements au meilleur de mes capacités,  
14 et je le jure.

15

16

17



18 Alain H. Bureau

19

20

21

22

23

24

25